

CITY COUNCIL  
CITY OF NEW YORK

-----X

TRANSCRIPT OF THE MINUTES

of the

COMMITTEE ON ENVIRONMENTAL PROTECTION

-----X

June 11, 2012  
Start: 1:20 p.m.  
Recess: 4:32 p.m.

HELD AT: Committee Room - 14<sup>th</sup> Floor  
250 Broadway

B E F O R E:  
JAMES F. GENNARO  
Chairperson

COUNCIL MEMBERS:  
Elizabeth Crowley  
G. Oliver Koppell  
Brad Lander  
Stephen Levin  
Peter F. Vallone, Jr.

## A P P E A R A N C E S

Sergej Mahnovski  
Director of Energy Policy  
NYC Office of the Mayor

Alex Posner, P.G.  
Project Director  
NYC Department of Design and Construction

John Rhyner  
Licensed Professional Geologist and Sr. Manager  
P.W. Grosser Consulting

John DiEnna  
Executive Director  
Geothermal National & International Initiative

Paul Andrew Collins  
Principal  
P.A. Collins P.E. Consulting Engineers

Rick Bostian  
Commercial Development  
WaterFurnace

Paul Bony  
Director of Residential Marketing Development  
ClimateMaster

Terence O'Brien  
Deputy Director  
Plumbing Foundation of New York City

James McKean  
Owner  
Mountain Air Conditioning & Heating

Rick Bell  
Executive Director  
New York Chapter American Institute of Architects

1  
2 CHAIRPERSON GENNARO: Okay, so  
3 we're being recorded now? It started? Okay, very  
4 good. Good afternoon, I'm City Council Member Jim  
5 Gennaro, I'm Chair of the Committee on  
6 Environmental Protection. We're joined by Council  
7 Member Oliver Koppell and today the Committee will  
8 hear a new topic, the potential of geothermal  
9 energy in New York City. We'll also hear a bill,  
10 Intro 694, I'm the prime sponsor of that bill,  
11 it's also been co-sponsored by Council Member  
12 Koppell and several other members, I'm grateful  
13 for that support, which seeks to facilitate the  
14 use of geothermal ground source heat in New York  
15 City. Heat from within the earth can also be  
16 harvested in various ways to create clean  
17 renewable energy. The earth's core retains heat  
18 from the time of the earth's formation; additional  
19 heat is generated by the breakdown of radioactive  
20 substances within the earth, the radiated heat  
21 from the sun and other sources. The heat moves  
22 via convection and conduction outward from the  
23 core towards the earth's surface, the result is a  
24 virtually unlimited amount of heat that keeps the  
25 sub-surface at a steady warm temperature.

1  
2 Geothermal ground-source heating and cooling uses  
3 technology to access the heating and cooling  
4 potential of underground heat. The potential use  
5 is much broader in scope than the use of  
6 geothermal resources found at or near the surface,  
7 as relatively-shallow wells can reach depths with  
8 sufficient heat to meet these energy needs. In  
9 addition, geothermal resources can be used to  
10 generate electricity. The essence of ground-  
11 source heating and cooling is that it uses geo-  
12 exchange technology to exchange heat between the  
13 stable temperature of the earth and the inside of  
14 a building in order to heat the building in winter  
15 and cool the building in the summer. In the case  
16 of New York City, the sub-surface areas maintain  
17 steady temperatures in the low 50 degrees  
18 Fahrenheit. In a geo-exchange system, a fluid  
19 such as water is pumped between the building and  
20 the below-ground environment. In the winter the  
21 heat picked up by the underground fluid is used to  
22 heat the building, and in the summer the fluid  
23 removes heat from the building and deposits it  
24 beneath the ground. The origin of the heat is  
25 often called the source when it is ... the origin of

1  
2 the heat is often called the source, and when it  
3 is taken it is called the heat sink. Ground  
4 source heating and cooling can be effected almost  
5 anywhere in the U.S. using a geothermal heat pump,  
6 a highly efficient renewable energy technology.

7 Many residential buildings and commercial  
8 organizations in New England operate with such  
9 ground source heating and cooling systems,  
10 including Trinity Church and the Massachusetts  
11 Audubon Nature Center in Boston, and the city hall  
12 annex in Cambridge. New York City also has  
13 residential buildings either using or planning to  
14 use geothermal energy, including a 26-story 225-  
15 apartment New York City Housing Authority on East  
16 28<sup>th</sup> Street that is scheduled to convert to  
17 geothermal heat and hot water. Traditional  
18 systems rely on heating or cooling air, and then  
19 transforming it around the building, a much less  
20 efficient approach. In addition, where the hot  
21 and/or chilled water can be used instead of  
22 disposed in the ground, further efficiencies can  
23 be achieved. Next, each heat pump works  
24 independently to heat or cool the zone or room it  
25 serves, making these systems both efficient and

1  
2 better at servicing buildings that have multiple  
3 zones. Last, ventilation can be achieved using  
4 additional heat pumps, there is no need for heat  
5 recovery systems. All these advantages help make  
6 these systems easy and cheap to maintain, and  
7 contribute to their long life expectancy. One  
8 final critical advantage is that these systems are  
9 better for the environment than other similarly-  
10 purposed systems. All of the advantages above,  
11 less equipment, efficient movement of energy and  
12 the like, directly lead to a lower pollution  
13 footprint -- we like that. In addition, the small  
14 amount of electricity needed to operate the system  
15 is located at a power plant and not onsite, where  
16 a scrubber and other technology will help reduce  
17 pollution. All these traits add up to making  
18 geothermal heating and cooling good technology in  
19 terms of reducing greenhouse gas emissions, a very  
20 big thing for us here in New York City. New York  
21 City is moving to embrace its geothermal energy  
22 potential, however most New York City buildings  
23 could utilize geothermal energy for heating,  
24 cooling and hot water production. Today's hearing  
25 is the first step towards a more sustainable

1  
2 future use of energy that does not create  
3 greenhouse gases, and that does not damage the  
4 environment in the process of retrieving energy.  
5 And so that's the oversight topic, with regard to  
6 Intro 694, we just have like a brief summary of  
7 the bill, this is from the Committee report, which  
8 is available for anybody who wants it. The bill  
9 would add a new paragraph to the city code which  
10 would require the city to undertake a study of  
11 geothermal subzones underneath the city to  
12 determine which are best suited to geothermal  
13 heating, cooling or power production. The study  
14 must include, at a minimum -- this is kind of  
15 right from the bill -- an accounting of existing  
16 geothermal projects, impediments to geothermal  
17 energy, and ways to facilitate geothermal energy  
18 use. The study is to be released, according to  
19 the bill, the study would be released first as a  
20 draft and then as a final report, if the study  
21 concludes that more geothermal energy use is not  
22 expected, it must explain why, and there must be a  
23 new analysis of the topic after three years. And  
24 the purpose of this is to really get the city to  
25 deeply immerse itself in this technology, it's

1 something that's already going on within the  
2 Bloomberg administration, folks from DDC, folks  
3 from DEP, are working to explore this technology  
4 and they'll be coming forward today and talking  
5 about their efforts, as well as their views on  
6 Intro 694 should they choose to make a hard  
7 recommendation on 694. And we did this recently  
8 with another kind of energy technology, on hydro,  
9 and we see this, we're coming to a stage in this  
10 Council and in this administration where we're  
11 seeking to crystallize as many of the good  
12 environmental ideas we have into local law so that  
13 the next Council and the next administration will  
14 have an obligation to follow through on these good  
15 initiatives. So it's getting close to wrap-up  
16 time for this Council, or those of us who are  
17 term-limited, and for the Mayor, who is also term-  
18 limited, and we want to leave a lot of good work  
19 for those who follow us to follow through. I've  
20 been very pleased at the deep commitment to the  
21 environment from the Bloomberg administration, the  
22 visionary PlaNYC, Speaker Quinn, Council members  
23 like Council Member Koppell and many others who  
24 have a real deep commitment to the environment.  
25



1  
2 We would like to see this work continue in the  
3 next Council and in the next administration,  
4 that's kind of what we're doing here today, and  
5 the best way to do that is to reduce it into  
6 actual law, and that way it gets done. So with  
7 that said, we would like to thank everyone for  
8 being here, we want to welcome the Bloomberg  
9 administration, there will be one or more  
10 representatives from the Bloomberg administration  
11 who will give us the benefit of their views, and  
12 who would that be? Do you have the slips there?

13 MS. SWANSTON: Yes, here they are.

14 CHAIRPERSON GENNARO: Okay, so this  
15 is the first panel: Alex Posner from DDC, Sergej,  
16 who works at DEP, right? It says City Hall,  
17 Mayor's office, but Sergey works for DEP, and you  
18 come forward and then you'll give us the benefit  
19 of the proper pronunciation of your last name,  
20 Sergej, and Alex, I've got to call you by your  
21 first name too, you know, it's a first-name thing.  
22 Yeah, and so with that said, I would like to ask  
23 the counsel of this Committee to swear in the  
24 panel and then you can proceed with your good  
25 statement. I believe there's just one statement

1 on behalf of the administration, is that right?

2 Or two statements? Joint statement, okay.

3 Samara, if you please.

4 MS. SWANSTON: Gentlemen, would you  
5 please raise your right hands? Do you swear or  
6 affirm to tell the truth, the whole truth and  
7 nothing but the truth today?

8 MR. MAHNOVSKI: Yes.

9 CHAIRPERSON GENNARO: Okay, thank  
10 you, and I would ask you to state your names for  
11 the record and proceed, but before you do that, I  
12 just want to make a special thank you to those  
13 folks who have flown in from a very long distance  
14 to be with us today, we'll be hearing from you, we  
15 look forward to that. Because you traveled a long  
16 way, we're going to give you all the time you want  
17 to give us the benefit of your views, and we thank  
18 you for coming all this way and waiting patiently  
19 to speak, but certainly it is our protocol to put  
20 the administration on first, and they have a  
21 lengthy statement, and I hope that's good news for  
22 Intro 694. It better be, if I'm going to listen  
23 to all this testimony, hint, hint. And so okay,  
24 and so with that said, I'd ask you to identify  
25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

yourselves for the record and proceed with your good testimony, and I guess, is this also your presentation, or is someone else presenting?

MR. MAHNOVSKI: No, it will be somebody else.

CHAIRPERSON GENNARO: Okay, very good. Sergej, thank you and like I said, just state your name and proceed.

MR. MAHNOVSKI: Yes, my name is Sergej Mahnovski.

MR. POSNER: Alex Posner.

CHAIRPERSON GENNARO: Thank you.

MR. MAHNOVSKI: (microphone not turned on)

CHAIRPERSON GENNARO: Okay, we're asking ...

MR. MAHNOVSKI: Should I start from the beginning?

CHAIRPERSON GENNARO: Yeah, I guess you'll have to.

MR. MAHNOVSKI: Sorry.

CHAIRPERSON GENNARO: Because the people who are going to read this transcript 50 years from now, or when they make a movie of this

1  
2 hearing, they won't have everything to go by, so  
3 sorry about that, if you could just start again.

4 MR. MAHNOVSKI: Okay. Good  
5 afternoon, Chairman Gennaro and members of the  
6 City Council Committee on Environmental  
7 Protection, I'm Sergej Mahnovski, Director of  
8 Energy Policy for the New York City Mayor's  
9 Office, and also Senior Advisor to Deputy Mayor  
10 Cas Holloway, I'm joined here by Alex Posner,  
11 Project Director of the New York City Department  
12 of Design and Construction's Office of Sustainable  
13 Design. Thank you for the opportunity to testify  
14 today about the role of geothermal in the city's  
15 efforts to cultivate sources of renewable energy  
16 and reduce greenhouse gas emissions. I testified  
17 before this Committee last November about the role  
18 that solar energy plays in the city's energy  
19 policy, I'm glad to have another opportunity to  
20 testify before, Chairman Gennaro, and we  
21 appreciate the leadership and interest you have  
22 shown on energy policy issues for the city. Intro  
23 694 would require the city to undertake a study  
24 that would identify areas most suitable for  
25 geothermal energy for building heating, cooling

1  
2 and electricity generation. The legislation would  
3 require that the study focus on a number of areas,  
4 including identifying and tracking public and  
5 private heating, cooling and electricity  
6 generation projects that may be using geothermal  
7 energy. In addition, the study would assess the  
8 obstacles facing widespread use of geo energy, and  
9 the measures needed to increase its use in new  
10 construction, alterations of one- and two-family  
11 dwellings, multiple dwellings and commercial and  
12 institutional buildings and structures. We agree  
13 with the goals and objectives of Intro 694 in  
14 determining whether geothermal energy is suitable  
15 and appropriate throughout the city, and if so how  
16 best to leverage the technology. Geothermal  
17 energy has the potential to be an efficient  
18 resource for heating and cooling. On  
19 appropriately-sited buildings in New York City, a  
20 well-designed system can replace conventional HVAC  
21 equipment and produce annual energy savings on the  
22 order of 50%. However, one of the obstacles is  
23 the high capital cost right now for installing  
24 these systems that make them, traditionally make  
25 them cost-prohibitive for widespread application

1  
2 in the city. So examining the feasibility of  
3 geothermal energy in New York City is not really a  
4 new topic. In fact the New York City DDC has  
5 spent over a decade not only in researching the  
6 technology, but also designing and building  
7 several important projects, and we're going to  
8 hear about them in a little bit. Other city  
9 agencies are also in the process of pursuing  
10 geothermal projects at their facilities, but  
11 before discussing this work, I'd like to give a  
12 brief overview of our energy policy, and Chairman,  
13 please cut me short if I'm droning on and on and  
14 on. But I'd like to give context, because I think  
15 it's important to understand the big picture. So  
16 in the past several years, the city has pursued a  
17 portfolio of initiatives to enhance its energy  
18 infrastructure and better manage its energy use.  
19 In 2007, as you all know, the city issued PlaNYC,  
20 a comprehensive agenda for long-term growth and  
21 sustainability. Essential to PlaNYC was the goal  
22 of accommodating one million new residents by  
23 2030, while reducing the citywide greenhouse gas  
24 footprint by 30% over the same period. As  
25 outlined in PlaNYC, the city's energy policy has

1  
2 three key pillars, enhancing the reliability of  
3 our system, supporting projects to reduce our  
4 footprint, and also insuring that energy costs  
5 borne by consumers in the city are fair. First,  
6 reliability of our energy system is vital to  
7 insure continued operation of critical facilities  
8 such as wastewater treatment plants and hospitals,  
9 and to protect our vulnerable populations.

10 Insuring the reliability of the power system is  
11 directly under the purview of our regulators and  
12 Con Edison, however the city is an important  
13 partner in coordinating power restoration efforts  
14 and other efforts with utilities during emergency  
15 events, such as last year's historic peak load day  
16 on July 26<sup>th</sup>, and Hurricane Irene, both of which  
17 placed strains on our local infrastructure. So in  
18 order to achieve our environmental and greenhouse  
19 gas emissions goals, our top concern is the city's  
20 one million buildings, which are actually  
21 responsible for 80% of our greenhouse gas  
22 emissions. In other cities that ratio is quite  
23 different, in some cases 50-50, but in our case  
24 it's 80% of emissions come from our buildings, so  
25 we have a very building-centric policy, if you

1 will, and we think buildings are incredibly  
2 important assets in our energy strategy. So we've  
3 endeavored to actually understand the very DNA of  
4 our building stock, and have rigorously assessed  
5 opportunities to promote energy efficiency, number  
6 one, which we think is the most cost-effective  
7 strategy, but also clean distributed generation  
8 and onsite renewables are an important part of  
9 that package. In late 2009 we passed a suite of  
10 legislation known as the Greater Greener Buildings  
11 Plan, which requires buildings over 50,000 square  
12 feet to undertake cost-effective efficiency  
13 measures. These buildings represent just 2% of  
14 our total building stock, but they're responsible  
15 for 43% of total electricity consumption, making  
16 these laws both targeted and high-impact. So to  
17 date over two billion square feet of real estate  
18 has complied with Local Law 83 and undergone the  
19 EPA's benchmarking process, to measure their  
20 energy and water consumption. The resulting data  
21 repository is the largest ever assembled in  
22 history by a city, and as the data becomes public,  
23 it will be a key driver for private sector  
24 investment in energy efficiency. Based on the  
25



1  
2 recommendations of the green codes task force, we  
3 also continue to update our local building and  
4 construction codes to remove impediments and open  
5 up opportunities for energy efficiency and  
6 renewables development, so city government is also  
7 taking a lead, our goal is a 30% greenhouse gas  
8 reduction by 2017, rather than 2030. To achieve  
9 this goal we have allocated roughly 10% of our  
10 \$800 million energy budget, or \$80 million a year,  
11 to reduce energy consumption in buildings and  
12 invest in clean distributed generation and  
13 renewables. So to give you a snapshot of where we  
14 are, since 2008 we've completed about 149 energy  
15 retrofit projects, which has saved the city about  
16 \$6 million in energy costs. When combined with  
17 projects that are currently under design and  
18 construction, the city is expecting to save about  
19 \$42 million in annual energy costs. There are  
20 about 1,000 more audits and retrofits in the  
21 pipeline to meet our target and to comply with the  
22 Greater Greener Buildings Plan. To leverage the  
23 city's commitment to an accelerated timeline of  
24 reducing greenhouse gas emissions, Mayor Bloomberg  
25 challenged 30 of our leading universities and

1 hospitals to also reduce their emissions by 30% by  
2 2017. All of these institutions are now  
3 aggressively working towards this target, and  
4 several have already surpassed it. So we've  
5 undertaken a comprehensive program to transition  
6 away from the most polluting fuels that generate  
7 our energy, as part of our PlaNYC goal to have the  
8 cleanest air quality of any major U.S. city, the  
9 Department of Environmental Protection passed  
10 regulations last spring to eliminate #6 and #4  
11 heavy fuel oil in buildings. So to accelerate the  
12 adoption of the cleanest fuels, and that means  
13 natural gas, #2 fuel oil and biofuels, we have  
14 launched a clean heat program to provide technical  
15 assistance and financing to buildings that are  
16 seeking to convert. We think this is a really  
17 important program. Over the past year alone, well  
18 over 400 buildings have converted from #6 and #4  
19 heating oil to natural gas and #2. Another key  
20 challenge, again to put it in context, is for New  
21 York City to modernize and expand our energy  
22 infrastructure. Our power plants are starting to  
23 age, and our power and gas imports are  
24 constrained. So as a result, the city supported  
25

1  
2 the development of Astoria Energy II, which came  
3 online last summer, it's a state-of-the-art  
4 combined cycle gas turbine plant. The city is  
5 also supportive of new gas transmission  
6 infrastructure to come into the city, such as the  
7 Spectrum in the Rockaways who runs Rockaways'  
8 pipelines, and primarily to accelerate the phase-  
9 out of heavy fuel oils and to improve the  
10 reliability and deliverability of energy within  
11 our network. These will be the first major new  
12 gas transmission lines to serve the city directly  
13 in almost 40 years, and will help utilities meet  
14 growing peak gas demand as the economy rebounds  
15 and customers switch away from more expensive and  
16 polluting heavy fuel oils. With respect to  
17 distributed generation and renewables, we're  
18 aggressively working to develop them in the city,  
19 and that includes solar, offshore wind, co-  
20 generation, biogas, and now geothermal. Since  
21 2007, the city has worked with the Department of  
22 Energy, Con Ed and other stakeholders to remove  
23 regulatory barriers to developing solar energy,  
24 and this would apply to any distributed  
25 technology, so I think it's important to put it in

1 context. With state legislature approval in 2008,  
2 we created the property tax abatement that as of  
3 last year has provided incentives for over 150  
4 projects totaling close to three megawatts of  
5 installed power. So we're working with developers  
6 to build solar projects on the most favorable and  
7 under-utilized municipal assets, such as  
8 wastewater treatment plants, large roofs that the  
9 city owns, and potential landfills. So through a  
10 comprehensive strategy that incentivizes  
11 investment in solar in the private market and  
12 leverages the building footprint in the city,  
13 we're on track to generate a cumulative 45  
14 megawatts of power throughout the city potentially  
15 by 2015, which is enough to nearly power 9,000  
16 homes. And I'm going to cut through some of this  
17 testimony, because I know we're going to be  
18 strapped for time, but another initiative on  
19 renewables that we're supportive of is offshore  
20 wind, and we've been working closely with our  
21 stakeholders, our utilities, NYPA, LIPA, and Con  
22 Ed, to look at the potential development of 350  
23 megawatts offshore, which we think is a  
24 potentially transformative investment. And then  
25

1  
2 another piece of the puzzle is co-generation, or  
3 highly-efficient combined heat and power plants.  
4 So we're developing co-generation plants at  
5 Riker's Island and at the police academy in  
6 College Point Queens, which would total about 50  
7 megawatts of capacity. We're also working with  
8 the utilities to streamline the permitting and  
9 interconnection process, and also working with our  
10 regulators to make it a more sensible investment  
11 for the private sector as well. Another piece of  
12 this is utilizing some of our waste gases,  
13 primarily our biogas from landfill and wastewater  
14 treatment plants, so in some cases we're looking  
15 seriously at co-generation facilities which would  
16 be fueled with our anaerobic digester gas, and I  
17 think what I think is a very interesting project  
18 is one that we are ... we will soon launch an  
19 innovative project at Newtown Creek with our  
20 partners National Grid, to basically purify  
21 anaerobic digester gas from the largest wastewater  
22 treatment plant in the city and inject it back  
23 into the gas utility network, which is almost  
24 unprecedented, I think it's one of the only such  
25 examples in the nation to do that. So we think

1  
2 the biogas and co-generation projects will  
3 combined help us meet 10% of our 30% goal. So  
4 with that said, I thank you for humoring me on  
5 that. I'd like to share with you what we know  
6 about geothermal technology and its potential in  
7 the city. So geothermal or ground source heat  
8 pump system, is a well-established although often-  
9 overlooked energy-efficient alternative to  
10 conventional HVAC systems for indoor heating and  
11 cooling. A ground source pumps taps into a  
12 significant reservoir of heat energy that is  
13 contained in rock, soil and groundwater within a  
14 few hundred feet below the ground surface. Sub-  
15 surface temperatures remain relatively constant  
16 throughout the year, which allows them to serve as  
17 a heat source during the cold months of the year,  
18 when air temperatures below the ground, and a heat  
19 sink during the warm months of the year, when the  
20 ground is cooler than the outside. So to take  
21 advantage of this temperature differential, bore  
22 holes are drilled in various configurations to  
23 form wells or loops, and aqueous solutions are  
24 pumped through to make contact and heat exchange  
25 with the sub-surface environment. Several types

1  
2 of geothermal heat exchange systems exist, these  
3 include open-loop wells, which circulate water  
4 from underground aquifers through heat exchangers,  
5 close-loop wells, which circulate aqueous  
6 solutions through a field of relatively-shallow  
7 plastic pipewells, and finally standing-column  
8 wells, which are much deeper wells, often drilled  
9 into bedrock, that tend to be more efficient  
10 because the aqueous solution transfers heat energy  
11 directly from the bedrock. So as you all know,  
12 New York City's geology is complex and varied, and  
13 as noted in the DDC's publication, the geothermal  
14 heat pump manual of 2002, which is being updated,  
15 so generally speaking, in much of Manhattan, the  
16 Bronx and Staten Island, the bedrock is located  
17 close to or at the land surface. Given the  
18 geologic conditions and also the greater density  
19 of building sites, geothermal projects in  
20 Manhattan and the Bronx tend to employ standing  
21 column wells, which have less of a land footprint,  
22 but must be inserted up to 2,000 feet below the  
23 surface to reach optimal temperatures. In much of  
24 Brooklyn and Queens, on the other hand, the land  
25 surface generally consists of unconsolidated

1 sedimentary deposits that often contain  
2 groundwater. These locations would tend to  
3 provide greater space availability, are typically  
4 well-suited for open-loop systems that take  
5 advantage of groundwater flow for heat exchange,  
6 and generally reach depths of around 500, or up to  
7 500 feet. Closed-loop systems can be built at a  
8 depth of up to 500 feet in any of the sub-surface  
9 conditions in New York City, but require larger  
10 land footprints than both the standing-column and  
11 open-loop systems. So the key story is the  
12 capital cost for ground-source heat pump systems  
13 are generally higher than traditional HVAC systems  
14 due to the cost of construction and the heat  
15 transfer wellfield. In urban settings like New  
16 York City, wellfield costs are likely to be higher  
17 due to space constraints, and the need to  
18 undertake more vertical borings. Paybacks  
19 typically range, and they're a wide range from  
20 what we've seen, from seven to up to 40 years,  
21 depending on the sub-surface conditions and the  
22 depth of boring. So in some cases at the upper  
23 end you're falling outside the reasonable payback  
24 period, at the low end you're in the ballpark. So  
25



1 while geothermal systems can be attractive and  
2 have the potential to reduce annual operating  
3 costs up to 50%, the challenge is that capital  
4 cost and how to incentivize it and how to account  
5 for it. So in most cases policy support would be  
6 required to develop projects with attractive  
7 payback periods. There are a few concerns that  
8 have been voiced by DEP concerning the use of  
9 geothermal, and let me state those. DEP is going  
10 to promulgate a rule governing drilling in the  
11 city by the end of this year. The proposed rule  
12 would restrict drilling and/or excavation in close  
13 proximity to the city's water supply  
14 infrastructure, particularly aqueducts, tunnels  
15 and shafts. It will also force restrictions on  
16 how close drilling and/or excavation can come  
17 above the crown below the invert or horizontally  
18 from the center line of an aqueduct or tunnel and  
19 horizontally from a shaft. It also describes the  
20 requirements for conducting drilling and/or  
21 excavation. All of these criteria will help  
22 protect the city's critical water infrastructure  
23 from contamination and physical damage. So at  
24 this point I would like to invite Alex Posner, who  
25

1  
2 is right next to me, Project Director at DDC's  
3 Office of Sustainable Design, to share his  
4 experience designing and constructing geothermal  
5 systems in New York City, and of course I'd be  
6 happy to take any questions after he's done.

7 CHAIRPERSON GENNARO: Sure, and I  
8 just wanted to make sure that at some point we're  
9 going to hear something about Intro 694.

10 MR. MAHNOVSKI: Ah.

11 CHAIRPERSON GENNARO: Are we going  
12 to hear something about Intro 694? That's what  
13 the hearing is about.

14 MR. MAHNOVSKI: Okay, shall we wrap  
15 up this, and then we can- -

16 CHAIRPERSON GENNARO: (Interposing)  
17 Oh sure, sure, and then we'll do that, yeah.

18 MR. MAHNOVSKI: Because I think it  
19 will ... some of what he will be testifying will  
20 help partly address that.

21 CHAIRPERSON GENNARO: Sure. Okay,  
22 go ahead, Mr. Posner.

23 MR. POSNER: Okay. Thank you,  
24 Chairman Gennaro, for the opportunity to present  
25 today regarding the feasibility of geothermal

1  
2 energy in New York City. As a licensed  
3 professional geologist and project director at  
4 DDC, I've had the pleasure of working on the  
5 development of five geothermal projects, three of  
6 which have already been completed approximately  
7 three years ago, and am currently involved in  
8 several more on the design and development. I'd  
9 like to share some of the lessons learned from our  
10 work over the past decade and thoughts about the  
11 future feasibility of this technology in New York  
12 City. There are a handful of successful examples  
13 of geothermal energy systems installed in New York  
14 City, standing-column wells, or standing-column  
15 systems have been installed in Manhattan and  
16 Battery Park's City Park's conservatory offices,  
17 Columbia University and a residential tower at 471  
18 Washington Street in Tribeca. One project has  
19 also been installed at the Bronx Zoo lion house,  
20 open-loop systems were installed at the Queens  
21 Botanical Garden and Brooklyn Children's Museum,  
22 and closed-loop systems were installed at the  
23 tickets booth in Times Square Manhattan and the  
24 New York City Housing Authority development in Far  
25 Rockaway Queens. PS 62, a net-zero energy school,

1  
2 is planning to install a large closed-loop system  
3 at Staten Island, in addition to Cornell  
4 University's proposal for 400 closed-loop wells on  
5 Roosevelt Island for the New York City Tech  
6 Building. The Department of Design and  
7 Construction is also currently completing  
8 construction for the closed-loop systems at the  
9 Weeksville Heritage Center in Brooklyn and at the  
10 Snug Harbor Cultural Center in Staten Island. In  
11 the early 2000's, the Department of Design and  
12 Construction's Office of Sustainable Design began  
13 researching geothermal technology, culminating in  
14 the 2002 publication, DDC's geothermal heat pump  
15 manual. As you know, DDC is responsible for  
16 designing and building the majority of new city  
17 government facilities, aside from schools, and  
18 also much of its right-of-way infrastructure. Our  
19 research efforts were not only intended to inform  
20 our own projects, but also to serve as a guide for  
21 the public sector. Since publication of the  
22 geothermal manual, DDC has completed construction  
23 of five different projects. The first one is the  
24 Queens Botanical Garden, which was a LEED platinum  
25 building, the cooling load is approximately 37

1  
2 tons, which is a relatively small building. This  
3 is an open-loop system design which utilizes the  
4 expansive groundwater aquifers on Long Island.  
5 This facility utilizes one supply well drilled to  
6 approximately 300 feet and two diffusion wells,  
7 which are also known as return wells, which return  
8 the used groundwater back to the same aquifer.  
9 This system uses water as a heat transfer medium,  
10 and the rate at which groundwater is pumped in  
11 gallons per minute is dependent on the building's  
12 heating and cooling load. In other words, the  
13 greater the load, there will be a greater demand  
14 for pumping faster. The maximum pumping rate at  
15 Queens Botanical Garden is approximately 160  
16 gallons per minute. A DEC-Long Island well permit  
17 is required to operate the system, even though the  
18 water is returned back to the same aquifer.  
19 Mineral precipitation and iron-related bacteria  
20 can become a problem in these systems if it's not  
21 properly managed and treated. Brooklyn Children's  
22 Museum, which was our second project which went  
23 online approximately three years ago, it's located  
24 in Crown Heights, Brooklyn, it's approximately 275  
25 tons of cooling capacity. This again, just like

1  
2 the Queens Botanical Garden, is an open-loop  
3 system design, which uses an aquifer. This  
4 aquifer is the sand and gravel type. In this  
5 situation, because the heating and cooling loads  
6 are much greater, it's a much larger building, we  
7 have two supply and two diffusion wells at this  
8 building. Again, a Long Island well permit is  
9 required from DEC, which regulates groundwater  
10 usage throughout the state. Okay, the third  
11 project is the Bronx Zoo lion house, which is the  
12 Madagascar exhibit. This uses a different type of  
13 system, it's a standing-column well, it's  
14 approximately 275 tons, this is an historic  
15 building. This type of system is the most  
16 expensive out of all the three systems. We have  
17 five 1,500-foot wells drilled into competent  
18 fractured bedrock. In this type of system, small  
19 amounts of groundwater are pumped through a  
20 central pipe in the well, it goes down the well  
21 and is returned back at the top of the well down  
22 the outer annulus as it exchanges heat with the  
23 surrounding bedrock. These systems require a  
24 mining permit from the New York State DEC's  
25 Division of Mineral Resources only if the drilling

1 is ... only if the drilling goes below 500 feet.

2 Depth is generally dependent on the thermal  
3 conductance of the rock, which is the medium  
4 primarily used for heat transfer of energy. Okay,  
5 our third project, the Weeksville Heritage Museum,  
6 which is located in Crown Heights, Brooklyn, this  
7 is a 108-ton cooling load, this is a closed-loop  
8 system which incorporates 48 closed-loop bore  
9 holes down to approximately 400 feet. We use a  
10 plastic tubing with a U-bend at the bottom which  
11 is inserted into each bore hole and then grouted  
12 in place. Subsequently the tubing from each of  
13 the 48 bore holes is connected to each other in a  
14 circuit and feeds into a header and eventually the  
15 building's HVAC system. A water or anti-freeze-  
16 type solution is circulated through the tubing via  
17 pumps, which pick up the heat energy from the sub-  
18 surface and transfers it back to the heat pumps.  
19 There is no contact with groundwater in this  
20 system, therefore state permits for groundwater  
21 usage are not required. These systems are  
22 slightly less efficient than the other systems,  
23 but require very low maintenance, which is  
24 actually a bonus to many city facilities, which  
25

1  
2 have virtually no maintenance staff. Okay, our  
3 last project is Snug Harbor Cultural Center, which  
4 is located on the north shore of Staten Island.  
5 This is a closed-loop system, which is actually in  
6 construction as we speak. The cooling load is  
7 projected to be approximately 91 tons, and will  
8 utilize 32 bore holes approximately 500 feet deep.  
9 Again, they're all connected to each, each go into  
10 a header, and then go directly into the building,  
11 which utilizes the heat pump system. This project  
12 takes advantage of the large site which is  
13 available on the property, which is generally  
14 required for these systems. It is also a perfect  
15 match because it is an historic building and  
16 therefore cannot utilize a cooling tower on the  
17 building or the surrounding property. After a  
18 decade of learning experience, the Department of  
19 Design and Construction is currently developing an  
20 updated manual on the geothermal technologies,  
21 which we expect to release this fall. The manual  
22 will provide more detailed geologic maps and a  
23 site feasibility guideline. It will also outline  
24 relevant regulations pertaining to geothermal  
25 development, and finally, it will provide a



1  
2 detailed description of DDC's completed projects  
3 and other relevant case studies. Once this study  
4 is complete, we anticipate reviewing Intro 694  
5 more closely and identifying what portions of the  
6 legislation may have been covered, and what the  
7 next steps are in further reviewing this  
8 technology. After this review, we will make sure  
9 to engage with the City Council, especially you,  
10 Chairman Gennaro, on how we can work together to  
11 make further progress on this important policy  
12 matter. Thank you for the opportunity to testify,  
13 we look forward to listening to today's testimony  
14 and further discussions with the Council on the  
15 study proposed by this legislation, as well as the  
16 potential benefits they could yield in shaping and  
17 enhancing the city's renewable efforts.

18 CHAIRPERSON GENNARO: Thank you.

19 Thank you for your statements, for your work that  
20 ... all the work that the Bloomberg administration  
21 has done on all these various endeavors that led  
22 to a statement such as this to be able to be  
23 written. Before I make comments or pose  
24 questions, I want to recognize that we're joined  
25 by Council Members Vallone, Levin and Lander, I'm

1  
2 grateful to have them all with us here today. We  
3 are joined by Council Member Koppell, who could  
4 only stay briefly, but he is one of the co-  
5 sponsors of 694, and we're grateful for that.  
6 Yeah, let me just kind of stroll through the first  
7 part of the statement, and part of my mantra here  
8 is that when we work together, we can really get  
9 things done. We're talking about the New York  
10 City law that mandates a 30% reduction in  
11 greenhouse gas emissions in the city government  
12 sector by 2017, and the overall city by 2030,  
13 which was written by this Council, by me,  
14 actually. And when we, you had your commercial,  
15 I'm going to have my commercial. And so, greener,  
16 greater buildings planned in two of ... like the  
17 ones you cite here, also written by me, and I'd  
18 like the number for them, like #6, that couldn't  
19 have been done without the cooperation of the  
20 Council, you know, you guys had the ability to  
21 like nuke six, but in order to tweak four, you  
22 needed us to do that.

23 MR. POSNER: Absolutely.

24 CHAIRPERSON GENNARO: The bio was  
25 me, and so there are many good things that we can

1  
2 do when we work together, but the administration  
3 is kind of always the same thing, that they don't  
4 really want to work with the Council unless they  
5 like absolutely have to, like at gunpoint. And  
6 that's okay, but we've got a good track record  
7 when we do partner, and no one wants to do like  
8 the hydro thing also, that was just like something  
9 that like we shouldn't have done, that we  
10 shouldn't do, because the administration was  
11 looking at it, and they didn't need the Council  
12 kind of like sticking its nose in. But as I said  
13 at the outset before we really got started in the  
14 hearing, that we have to reduce things to local,  
15 and had we not done the 2007 New York City Climate  
16 Protection Act, which mandates a 30% reduction, we  
17 wouldn't be here today. And so this ... and so what  
18 we really wanted to find out is, and you guys are  
19 the experts, I'm not, is some formal law by the  
20 Council that would mandate the kind of analysis  
21 and the kind of information called for in 694, it  
22 either makes sense to do that or it doesn't. And  
23 it seems that it makes sense on some level,  
24 because this is something that's already been done  
25 once upon a time, ten years ago, a long time ago,

1  
2 when technology was different, or whatever, we've  
3 come a long way since then, and it's underway now,  
4 and who's to say, when we have a new  
5 administration and a new Council, that they're  
6 going to want to continue to do that, right? They  
7 may just sort of give up on geothermal, they can  
8 give up on global warming, they can give up on  
9 like whatever they want, and so we're just trying  
10 to keep our good work going forward. And your  
11 statement does a very good job of talking about,  
12 you know, we could do it in hard rock geology, we  
13 could do it in soft rock geology, we could do it  
14 large footprint, we can do it with a small  
15 footprint, we could do it shallow, we can do it  
16 deep, we can do it high-maintenance, we can do it  
17 low-maintenance, and so it's all here. And so it  
18 looks like you guys are doing a pretty good  
19 imitation of people who care about this technology  
20 and are putting a lot of brain waves and a lot of  
21 the city's money into doing it, which kind of  
22 entices me to say, okay, why don't we just make a  
23 whole party of this whole thing and just see if we  
24 can really try to expand it by doing things like  
25 you say in your statement, by doing some kind of

1  
2 substantial policy support, is like the euphemism  
3 that you put in there, that's what we do. So that  
4 was really my question, that's what like this  
5 whole initiative is, whether or not we even need  
6 this kind of information to be generated along the  
7 lines of Intro 694. And the way that 694 spells  
8 it out, is it any good or is it silly, and we  
9 should do it a little different way, and then I'm  
10 fine with that. And whether we need things like  
11 substantial policy support, that's what we do.  
12 But instead we're told, well, we're doing our own  
13 thing, and we'll let you know when we get it done.  
14 I'm just getting cranky, and so but I want to  
15 applaud all the good work that's been done in all  
16 the various boroughs, and the fact that this has  
17 been going on a long time, I'm just trying to  
18 help. I'm just trying to help, and I don't want  
19 to be cranky, but I do want to get the  
20 administration earlier rather than later on the  
21 record as to what we can do with regard to 694, if  
22 it makes sense. If it doesn't make sense, you can  
23 just tell me, I'm a big boy, I mean, I've heard  
24 that before, that, Mr. Chairman, we really should  
25 be doing some other things that are like more ...

1  
2 that are a better use of our time than this  
3 particular initiative, a lot of other things, we  
4 should do solar, we should do this, we should do  
5 that. And so I can really kind of take anything,  
6 but just, well, we're kind of working on it, and  
7 we'll see, and we'll like let you know when we're  
8 ready to let you know. But like the hearing is  
9 today, and so I felt like I had to get that out,  
10 and so I'll let you respond.

11 MR. MAHNOVSKI: Thank you,  
12 Chairman, and if I may rephrase actually that  
13 ending a little bit, I mean, first of all, thank  
14 you for your leadership. I think we do want New  
15 York City to be at the cutting edge of the  
16 technological innovation. I think between the  
17 administration and the City Council, I think we've  
18 made some tremendous progress, and I think- -

19 CHAIRPERSON GENNARO: (Interposing)  
20 It's been really good, we've worked together, it's  
21 great. People say, aren't you threatened by the  
22 Office of Long-Term Supply and Sustainability and  
23 the fact that like you're the Chairman of the  
24 Committee but you've got the greenest Mayor that  
25 the world has ever known? No, that doesn't

1  
2 threaten me a bit, that just means I can get  
3 really good stuff done. So that's really all I  
4 want to do, and I want to leave post-it notes and  
5 lots of work for the people that come after us to  
6 carry on this work. But I'm stealing your dime  
7 now.

8 MR. MAHNOVSKI: No, and actually  
9 the reason we had so much detail about geothermals  
10 that we have started to take a look at, I mean,  
11 DDC is really the one that had a long-standing  
12 relationship with this technology. The fact that  
13 we ... I mean, we think that it's potentially very  
14 interesting, and we think it can be part of the  
15 portfolio, otherwise we wouldn't have actually  
16 delved as deeply into it. And we think that as a  
17 city we should be supportive of technologies that  
18 are still ironing out the kinks and really trying  
19 to understand where the balance of systems costs  
20 are. And so a concerted strategy is really  
21 important, otherwise it falls by the wayside. So  
22 I think that- -

23 CHAIRPERSON GENNARO: (Interposing)  
24 So far you're just making my point for Intro 694,  
25 and I certainly appreciate that, but keep going.

1  
2 MR. MAHNOVSKI: Yeah, so I think  
3 the devil is always in the details on how we  
4 structure ... every study needs to be streamlined to  
5 the point where it actually can yield actual  
6 knowledge, insight and investment.

7 CHAIRPERSON GENNARO: Right.

8 MR. MAHNOVSKI: So- -

9 CHAIRPERSON GENNARO: (Interposing)  
10 And I'm fine with that.

11 MR. MAHNOVSKI: Yeah.

12 CHAIRPERSON GENNARO: And I'm not  
13 like the oracle of geothermal, and I'd welcome  
14 those kinds of brainwaves, because if we're going  
15 to actually do a piece of legislation and make  
16 people do stuff, it should be stuff that's very  
17 helpful.

18 MR. MAHNOVSKI: And so rather than  
19 us telling you that we'll get back to you, I think  
20 that should be rephrased, because I think that's  
21 not actually our intention. What we're saying, I  
22 think, is that there is a technical component that  
23 is ongoing right now that might answer part of the  
24 study that you envision.

25 CHAIRPERSON GENNARO: Right.



1  
2 MR. MAHNOVSKI: But there's going  
3 to be a piece that's still missing that needs to  
4 be done looking at the economic feasibility, and  
5 the question is how to do that. We think it  
6 should be structured around the existing buildings  
7 primarily, we also think that we should also bring  
8 perhaps NYSERDA to the table, they're the ones who  
9 operate much of the policy support. They did a  
10 study recently looking at solar for the state. So  
11 to the extent that we can bring some of the other  
12 partners to the table who would be offering  
13 perhaps some ratepayer money to the table, that  
14 might be a way to structure it, so maybe it's a  
15 combination of the technical study and work we do  
16 in partnership with NYSERDA. Those would be, I  
17 think, the building blocks that would I think  
18 reach the target that you're looking for.

19 CHAIRPERSON GENNARO: Sure, sure.  
20 I'm sitting here on my side of the table, figuring  
21 out what we can do in concert with entities like  
22 NYSERDA, with the industry that's well-represented  
23 here, to try to move the ball forward in some  
24 productive government way, you know what I mean,  
25 that's like not an oxymoron. I just want to it to

1  
2 be right, and I want it to be right, I want it to  
3 be good, and I don't want to wait. And so I'm all  
4 for the commencement of some serious dialogue on  
5 how we do that, or just to be told that this is  
6 like not a good idea, and I should go fish in some  
7 other pond for some roadmap to 30% greenhouse gas  
8 reduction, and what the sustainable utopia that we  
9 all want to be living in in 2030. And if this is  
10 not a brick on like the yellow brick road to get  
11 there, I'm a big boy and I can take it. But if it  
12 is a possibility, we should get going.

13 MR. MAHNOVSKI: We think it's a  
14 good idea, with the following caveat, so long as  
15 the flexibility to craft the scope of the study in  
16 a way in which we think it will have the greatest  
17 impact, and as tightly crafted as possible, the  
18 biggest bang for the buck study, then it's a good  
19 idea. So that's the key, I think.

20 CHAIRPERSON GENNARO: Right, that's  
21 what I need you for, because you guys do this all  
22 the time, and we don't have the same level of  
23 brainwaves on this side of the table that you have  
24 on that side of the table, which is fine. We're  
25 different kinds of brainwaves, this is what you

1  
2 actually do, there's people in the administration  
3 doing this.

4 COUNCIL MEMBER VALLONE, JR.: Mr.  
5 Chairman, they're generating power from their  
6 brainwaves?

7 CHAIRPERSON GENNARO: Yeah, and I  
8 wrote the bill too, that required that, yeah. The  
9 first in the nation, you know what I mean. But I-  
10 -

11 MR. MAHNOVSKI: (Interposing) And  
12 Mr. Chairman, again, apologies, I think we  
13 misworded the end of that statement. I think  
14 partly because we scrambled in a short period of  
15 time to pull this together, so that we didn't mean  
16 to seem flippant by saying we'll get back to you,  
17 that's not in fact what ... that is not our message  
18 actually. We think ... I'm going to restate it for  
19 the record, we think it's a good idea, so long as  
20 the scope of ... so long as we have a lot of input  
21 into the scope of the study.

22 CHAIRPERSON GENNARO: Right.

23 MR. MAHNOVSKI: Because I think  
24 we're pretty good at doing that.

25 CHAIRPERSON GENNARO: Yes.

1  
2 MR. MAHNOVSKI: And then it can be  
3 a really good study, and it can serve the industry  
4 and the city and everybody very well, so that, I  
5 think that's- -

6 CHAIRPERSON GENNARO: (Interposing)  
7 That would be great, and just let me sort of close  
8 with the amount of trust and respect I have for  
9 everyone on the Mayor's environmental team, which  
10 is a very big team, which you are a key player on.  
11 And so I really trust the Bloomberg administration  
12 to help this Council craft the kind of study that  
13 will do what needs to be done and as we ... because  
14 we have a very, very good batting average when we  
15 work together, and the type of engagement that  
16 I've had with the Bloomberg administration up  
17 until now on many critical environmental issues  
18 has been wonderful, and I just want to keep that  
19 going and just for the folks here who flew in from  
20 long distances, let me tell you about some of the  
21 environmental cooperation I've gotten from the  
22 Bloomberg administration when I put forward a bill  
23 a number of years ago to reduce greenhouse gas  
24 emissions by 20%, and the city, the Bloomberg  
25 administration came back and said, okay, we'll see

1  
2 you 20, we'll raise you 10 and make it 30, and  
3 we'll build this like huge think tank where we'll  
4 do like a full emissions inventory and I'm like,  
5 oh, that's a pretty good offer, whereas other City  
6 Councils throughout the country are going to their  
7 partners in government saying we're not interested  
8 in anything like that. So this has been the kind  
9 of cooperation, this has been the great things  
10 that we've been able to do together. And so I  
11 really welcome this opportunity to start working  
12 on this and make this study all that it can be,  
13 and I'm all gratitude to you and to the Bloomberg  
14 administration for trying to do this, and adding  
15 this sort of new plank, meaning like a law, to the  
16 environmental fortress that has been ... I'm just  
17 getting nuts now, okay, but you know what I mean,  
18 my heart's in the right place, your heart and mind  
19 is in the right place, and I really thought that  
20 working with you on this and thank you so much for  
21 being here today. I want to ask my colleagues ...  
22 oh, and I will recognize ... oh Pete, do you want to  
23 get recognized, or I had you down here.

24 COUNCIL MEMBER VALLONE, JR.: I'm  
25 recognized.

1  
2 CHAIRPERSON GENNARO: Okay, no, I  
3 meant, you were down. Oh, is this for questions  
4 or is this for members who are present here,  
5 Samara?

6 MS. SWANSTON: Just for those who  
7 are present.

8 CHAIRPERSON GENNARO: Who are  
9 present. Okay, okay, I thought this was the  
10 question list, sorry about that.

11 MS. SWANSTON: No, no questions.

12 CHAIRPERSON GENNARO: Sorry Pete,  
13 good seeing you. Okay. Brad? Anything? I  
14 recognize Council Member Lander.

15 COUNCIL MEMBER LANDER: Thank you,  
16 thanks for being here and for the collaborative  
17 work. I guess my question is just a little bit  
18 about, and it kind it goes down this road of how  
19 we capture what we're learning, not solely about  
20 geothermal, but more broadly across the array of  
21 different audit and enactment work that we're  
22 doing, and there seems to be an enormous amount  
23 between what Greater Greener is requiring in  
24 general on the 50,000 square foot buildings and  
25 specifically then on the municipal infrastructure,

1  
2 we're learning a lot about what we think is going  
3 to work and what's not going to work, how to  
4 finance it, how to pay for it. How is all of that  
5 being gathered in a systematic way that's going to  
6 help drive the market more effectively and figure  
7 out what makes sense on its own, and folks should  
8 just do it; what makes sense if the financing  
9 tools are in place, but market-rate financing  
10 needs to see an opportunity it hasn't seen; what  
11 makes sense with a little bit of subsidy and is  
12 worth a little bit of subsidy; and what seemed  
13 like a cool idea but maybe doesn't make sense? So  
14 how are we gathering that and figuring out how to  
15 make both policy decisions and help encourage and  
16 drive the market in the years to come?

17 MR. MAHNOVSKI: Well, on city  
18 government assets obviously we have a good handle  
19 because we have the comprehensive database, and  
20 this is really DCAS and unfortunately the DCAS  
21 Commissioner and Deputy Commissioner aren't here,  
22 but I think with the municipal asset base we've  
23 got a very good handle on that. How do we  
24 actually track citywide what happens? Well,  
25 there's a couple of different efforts going on. I

1  
2 mean, if you look at CUNY, the CUNY solar map is  
3 really they're tracking the permit process and  
4 projects that are under construction across the  
5 city, not just on the city government footprint.  
6 So we have that piece. The other part of this is  
7 the benchmarking, which right now we're actually  
8 getting very close to finishing up our report. We  
9 think that's going to be, and obviously you're all  
10 very, very familiar with this, but I think this is  
11 going to revolutionize the energy efficiency  
12 industry in many ways, because once you collect  
13 information for buildings 50,000 square feet and  
14 above, once you marry that with audit data coming  
15 down the road, you're going to have, as I talked  
16 about, really the DNA of these buildings, how they  
17 consume energy, and potentially how they produce  
18 energy, and which we can actually look at energy  
19 integration, be it renewables or energy  
20 efficiency, much more closely. So that data is  
21 starting to really come and take life, and so if  
22 you pull these different efforts together, I think  
23 the database of information we're going to have on  
24 buildings, be it the rooftop or the envelope, I  
25 think we're ... really no city can compare in the



1 U.S. at least with New York City. And that's  
2 going to take a couple of years to really build,  
3 but we're building the building blocks right now,  
4 and that's when you can do some more in-depth  
5 financial analysis, some more in-depth technical  
6 analysis. And it's the stuff that's not  
7 necessarily that sexy on paper, but it's really  
8 the building blocks of making really intelligent  
9 decisions, and we think that in credit to all of  
10 you and of the administration I think for really  
11 pushing the benchmarking legislation. So I think  
12 that's the key.

14 COUNCIL MEMBER LANDER: All right,  
15 but I guess maybe on ... especially on the municipal  
16 infrastructure, tell me a little more about what's  
17 being done, like where is the data, both more  
18 anecdotal and more systematic, on what we're  
19 learning about what makes sense to do where, being  
20 brought together in a way that ... from the post-it  
21 notes that the Chairman referred to for future  
22 administrations, presumably other cities across  
23 the country that don't have our scale of resources  
24 and if that's meant that we've made ... so yeah.

25 MR. MAHNOVSKI: Yeah, it's a good

1  
2 question. So I don't have all the data in front  
3 of me, that's really DCAS that manages that, but  
4 we have a ... there's a database of projects ... well,  
5 first of all we have a database of all municipal  
6 assets, and we're upgrading the IT infrastructure  
7 that is able, that we're able to query buildings  
8 and understand their load. But as far as the  
9 projects, we very rigorously track where the  
10 projects are in design and construction and  
11 delivery, to see whether we're reaching our  
12 greenhouse gas target. So that's really Deputy  
13 Commissioner Ariella Maron at DCAS who could speak  
14 more eloquently about this, but that is something  
15 that is, I think, a very rigorous process, the  
16 payback periods are looked at at every investment,  
17 and we have this pool of resources, as I said,  
18 every year to spend on those projects, and so I  
19 think that tremendous amount of effort and energy  
20 goes into this, and there is a track record and a  
21 database that's, I think, very transparent, so  
22 that is available, it will be available to whoever  
23 is ... whatever administration takes over after next  
24 year.

25 COUNCIL MEMBER LANDER: Thank you.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Thank you, Mr. Chairman.

CHAIRPERSON GENNARO: Thank you, Brad, and just, I guess, a question out of curiosity, with regard to where you're actually positioned, it was my understanding once upon a time you were at DEP, now you've moved over to ... just tell me about that.

MR. MAHNOVSKI: Yes, when Cass Holloway went from Commissioner of DEP to Deputy Mayor, so I'm his lead on energy in the Mayor's Office.

CHAIRPERSON GENNARO: Okay, so because once upon a time the, kind of like the energy center was over like EDC or DGL and then it went- -

MR. MAHNOVSKI: (Interposing) It went to DEP.

CHAIRPERSON GENNARO: It went to DEP.

MR. MAHNOVSKI: Yes.

CHAIRPERSON GENNARO: And now it's at the Mayor's Office under you.

MR. MAHNOVSKI: Yes, and I oversee the energy folks at DEP. And we work very

1  
2 closely, we're not too bureaucratic about it, but  
3 we have ... it's the same group, the same cast of  
4 characters.

5 CHAIRPERSON GENNARO: Sure, sure.  
6 I mean, I think it speaks to the Mayor's  
7 commitment on how serious he is about energy to  
8 put this right in the Mayor's Office, and I  
9 applaud that, and so various people doing energy-  
10 related things throughout the administration, and  
11 I think it's a good way to work, and although the  
12 Mayor may be term-limited and who knows what's  
13 going to happen to the deputy mayors, you're not  
14 term-limited and you can't go anywhere in the next  
15 administration, so I- -

16 MR. MAHNOVSKI: (Interposing) I'm  
17 here as long as they want me.

18 CHAIRPERSON GENNARO: Okay, and  
19 that's where we're fortunate to have both of you,  
20 and we really appreciate your dedicated efforts,  
21 and I want to thank the administration for its  
22 wonderful commitment, for doing so much energy  
23 stuff on so many different fronts and really being  
24 a beacon for urban environmental sustainability  
25 and everyone is going to school on us, and that's

1  
2 okay. So I want to thank you both for being here,  
3 and I want to thank the administration for having  
4 this testimony. I want to thank you for the  
5 handshake and that we're going to be working on  
6 this, and I'd like to thank Reggie Thomas for  
7 bringing this all together, for being the maestro  
8 that helps to make these hearings happen. So I'm  
9 very happy with today's testimony and to the  
10 meeting of the minds we have with the  
11 administration. So thanks very much and we  
12 appreciate it- -

13 MR. MAHNOVSKI: (Interposing) Thank  
14 you, Chairman and Committee. Thank you.

15 CHAIRPERSON GENNARO: You bet, and  
16 I know you will leave people behind to hear some  
17 of the good testimony from people that have come  
18 from far and wide, and so this is a good  
19 opportunity to put a lot of movers on this issue  
20 in the room and we want to hear what they have to  
21 say. I know that you would want to have the  
22 benefit of their views as well.

23 MR. MAHNOVSKI: Thanks very much.

24 CHAIRPERSON GENNARO: Thanks so  
25 much, we appreciate it.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. MAHNOVSKI: I appreciate it.

MS. SWANSTON: We have John- -

CHAIRPERSON GENNARO: (Interposing)

Just hold it a second, I'm not ... One moment, we're just figuring a couple of things out here. Okay, sorry for the delay. We got it now, okay, and so we're going to call the next panel, John, it looks like Rhyner, John Rhyner, P.W. Grosser Consulting, also on the panel ... and just because people are on the same panel, it doesn't indicate that they work together or share the same views or whatever, it's just they're physically sitting next to each other giving testimony, and nothing more than that should be read into it. So we mentioned Mr. Rhyner, it looks like Paul Andrews Collins, I believe, from P.A. Collins PE, John DiEnna, I believe, Sr. Okay, so we've got everybody here, and the panel after this, just to ... so there will be this panel that we will hear from, and then Rick Bostian from Water Furnace, Paul Bony from Climate Master, that will be the panel after this one, and the last panel, James McKean, Rick Bell and Terence O'Brien, Terry's here? Okay. Oh, okay, very good. Great, so that is the lineup.

1  
2 I'm having my picture taken. I would have gotten  
3 a haircut had I known, thanks. And thanks very  
4 much for being here, it looks like we have a ... so  
5 Mr. Rhyner ... oh, we have three, forgive me. Okay,  
6 it is customary in our Committee to swear in the  
7 panels, we're going to proceed with that, you saw  
8 the last panel do that. I'm going to ask Samara  
9 to give the oath, and then after that each can  
10 testify in turn, starting from my left to my  
11 right, and if you have a statement, you can give  
12 those to the sergeants and they'll give that to  
13 us, and we'll follow along. So Samara, please  
14 proceed.

15 MS. SWANSTON: Can you please raise  
16 your right hands? Do you swear or affirm to tell  
17 the truth, the whole truth, and nothing but the  
18 truth today.

19 MR. RHYNER: I do.

20 CHAIRPERSON GENNARO: Thanks,  
21 thanks very much, and I just want to make sure  
22 that I have statements and ... do we have three  
23 different statements? Okay, all right, okay.  
24 I've got this one. Okay, it looks like Mr.  
25 Grosser is going to testify first, and I ... yes, oh

1  
2 pardon me, the Grosser Firm, Mr. Rhyner, right?  
3 Okay. I have that statement, and then just get  
4 the other statements to me. So please state your  
5 name for the record and proceed.

6 MR. RHYNER: Okay, my name is John  
7 Rhyner, with P.W. Grosser Consulting, and good  
8 morning, Chairman Gennaro and Council members and  
9 invited guests, I too want to thank you for the  
10 opportunity to address you today regarding this  
11 proposed legislation. I'm a licensed professional  
12 geologist and senior manager with P.W. Grosser,  
13 our main office is in Bohemia, Long Island, New  
14 York. We have offices here in Manhattan and  
15 Connecticut and Syracuse. I have read the  
16 proposed legislation and I was extremely  
17 encouraged. My firm has been in the forefront of  
18 the geothermal industry in the New York  
19 Metropolitan Area for over 20 years, personally  
20 I've been involved in the geothermal industry  
21 exclusively for the past 12 years. As a  
22 practicing geologist, my focus is the portions of  
23 these systems that get drilled or installed or  
24 constructed in the ground. I'm not a mechanical  
25 engineer by trade, I'm a geologist, and the two



1 parts of these systems have to be integrated, so  
2 that's been my focus for as long as I've been  
3 working. In the industry most of my experience  
4 has been in the five boroughs of New York. I've  
5 had the fortunate opportunity to collaborate and  
6 interface with numerous city agencies involved  
7 with this technology over the years. I've been  
8 working with the DDC for over ten years now, with  
9 my current firm and with the previous firm, and  
10 the DDC is certainly a pioneer in the development  
11 of this technology and I really enjoyed the time  
12 working with them. Besides assisting the DDC with  
13 implementing some of the projects that Mr. Posner  
14 mentioned, I also played a large part in  
15 developing the update of the geothermal heat pump  
16 manual for the DDC, so we're exciting about using  
17 that, rolling that resource out to facilitate the  
18 industry. Beyond that, I just want to state for  
19 the record that everything I'm about to say is my  
20 own personal observations and opinions from  
21 working in the private sector, and not associated  
22 with the DDC, just so they're assured that- -

24 CHAIRPERSON GENNARO: (Interposing)

25 Sure.

1  
2 MR. RHYNER: ... these are my own  
3 experiences, other than those projects. I'm not  
4 going to reiterate all of the tremendous benefits  
5 regarding energy efficiency and what not that have  
6 already been stated, and I know some of the people  
7 to follow will state. But I would like to mention  
8 a couple of benefits that are perhaps less  
9 tangible, less economic-related. Specific to New  
10 York City's urban character, the following  
11 benefits, I believe, should be considered. The  
12 components of these systems are entirely  
13 underground, or within the building. They are not  
14 on the roofs or exterior parts, they are basically  
15 not visible. There are no noisy rooftop chillers  
16 or cooling towers, which can detract from the  
17 city's skyline or impact occupants in adjoining  
18 buildings. For those reasons, these systems are  
19 ideal for landlocked structures, as was mentioned,  
20 structures with pitched roofs or other limitations  
21 or restrictions on exterior improvements, as  
22 dictated by the New York City Landmarks  
23 Preservation Commission. Moreover these landmark  
24 structures can be retrofitted for central air  
25 conditioning rather than window units, which also

1 detract from their aesthetic character.

2 Geothermal heat pump technology can offer air  
3 conditioning to such buildings, many of which have  
4 never had air conditioning throughout the course  
5 of their lifetimes. And that offers fuller use of  
6 these structures, in the summertime as well as the  
7 wintertime, with central air. Geothermal can  
8 facilitate wider adoption of other sustainable  
9 technologies, by clearing up the roof that frees  
10 up space for green roofs and solar PV  
11 installations, okay, because of the no associated  
12 rooftop equipment. New York City is in the  
13 forefront of construction of LEED-certified  
14 buildings. It is clear from the literature  
15 sources and references that I have reviewed, a  
16 large percentage of buildings achieving LEED  
17 certification incorporate geothermal heat pump  
18 systems into their design, and that's owing to the  
19 high energy efficiencies that can be achieved and  
20 the LEED energy credits. The same is true for net  
21 zero energy buildings that I have seen in the  
22 literature, virtually all the net zero buildings  
23 that I've seen discussed in case studies  
24 incorporate geothermal technology. So with the  
25

1 wider adoption of this technology in the city,  
2 that can help to secure the city's high ranking in  
3 LEED and net zero building development. The GHP,  
4 geothermal heat pump system industry is homegrown,  
5 as probably will be discussed, the major heat pump  
6 manufacturers are nationally-based, they're well-  
7 represented. Every geothermal system incorporates  
8 a wide range of disciplines of engineering,  
9 designers and contractors, most of which are  
10 local, as well as the materials for constructing  
11 these systems, the heat pumps, the steel casings,  
12 the drilling mud and the grout, all that's locally  
13 based in this country. Regarding the proposed  
14 legislation and the study referenced, I'd like to  
15 make four points regarding the concept of the  
16 geothermal sub-zones. While sub-surface geologic  
17 and hydro-geologic conditions are indeed a  
18 critical controlling factor on the type of  
19 geothermal systems suited, they are only one of  
20 many site-specific, project-specific and owner-  
21 specific considerations. I can say with my years  
22 of experience, geothermal heat pump systems are  
23 viable in virtually all geologic conditions in the  
24 city. These other conditions are more the  
25

1  
2 determining factors. A major factor is the  
3 outdoor area available to drill, to drill the  
4 wells. And a design of each system requires a  
5 site-specific study; that information in  
6 conjunction with extensive published data  
7 available from the U.S. Geological Survey, as well  
8 as the resource, the geothermal heat pump manual  
9 from the DDC, all the resources are available  
10 there to really assess a site from a geologic  
11 perspective, whether it's feasible and what type.  
12 So in terms of geologic sub-zones or geothermal  
13 sub-zones, I think that may not be necessary, and  
14 the resources could be put elsewhere. I would  
15 also like to inform the Council of cutting-edge  
16 research completed by the New York City Economic  
17 Development Corporation and Columbia University  
18 that you may not be aware of. Efforts by Columbia  
19 and EDC over the years have ... are directly  
20 addressing today's topic and I was fortunate to  
21 have participated in those efforts. Columbia  
22 graduate students developed an energy model which  
23 grew out of their research into CHP- -

24 CHAIRPERSON GENNARO: (Interposing)

25 You've got my attention now.

1  
2 MR. RHYNER: Okay, they got the ...  
3 they looked at- -

4 CHAIRPERSON GENNARO: (Interposing)  
5 I mean, you had it all along, but I'm just- -

6 MR. RHYNER: (Interposing) Oh,  
7 okay.

8 CHAIRPERSON GENNARO: I didn't ...  
9 you know.

10 MR. RHYNER: Okay.

11 CHAIRPERSON GENNARO: You just  
12 bumped it up a notch.

13 MR. RHYNER: Okay, good. Columbia  
14 and EDC originally looked at the viability of CHP  
15 on a block-by-block basis. So they developed an  
16 energy model of electrical consumption and heating  
17 and cooling demand for all the existing structures  
18 on each block in the city. They extended that  
19 initial modeling to look at geothermal. My part  
20 was to select the most suitable type of geothermal  
21 system throughout the city, based on geologic  
22 conditions, available land area to drill, and the  
23 estimated thermal capacity of the ground  
24 underneath those blocks. And we came together and  
25 we married our studies and came up with geothermal

1  
2 viability on a borough-by-borough analysis, on a  
3 block-by-block analysis, and that's one of the  
4 illustrations that I included in my testimony.

5 CHAIRPERSON GENNARO: When was this  
6 done? I mean, normally I keep my questions for  
7 the end, like after the whole panel testifies.

8 MR. RHYNER: It's probably about  
9 two years ago.

10 CHAIRPERSON GENNARO: I see.

11 MR. RHYNER: Yes. And that was  
12 done through the EDC's Energy Department, which  
13 has been since disbanded.

14 CHAIRPERSON GENNARO: Right.

15 MR. RHYNER: So I don't know- -

16 CHAIRPERSON GENNARO: (Interposing)  
17 Right, it moved to DEP and now it's at the Mayor's  
18 Office.

19 MR. RHYNER: Yes. So it was quite  
20 fascinating, the findings they found, the  
21 residential market for geothermal is enormous,  
22 ranging from over 75% of the total square footage  
23 of the residential in the Bronx to nearly 95% in  
24 Staten Island, that's excluding Manhattan.  
25 Commercial market ranges from over 20% in the

1  
2 Bronx to almost 50% in Staten Island, of the total  
3 commercial market, again excluding Manhattan. The  
4 outer boroughs have the larger geothermal  
5 potential, due to greater open outdoor space for  
6 drilling and lower densities, and has been stated  
7 already, over 900,000 buildings could be feasibly  
8 served. And some of their recommendations, which  
9 parallel my recommendations for what the Council  
10 could consider doing in this legislation, to  
11 subsidize training of suppliers for geothermal  
12 systems, engineers, architects, contractors;  
13 approve geothermal training for New York City  
14 Workforce Investment Board grants; provided the  
15 building meets initial feasibility screening,  
16 sponsor subsidized more-detailed site analysis and  
17 a cost-benefit assessment for the private sector;  
18 conduct feasibility studies for EDC buildings --  
19 EDC has an enormous building stock -- ease  
20 permitting requirements by city agencies; and  
21 analyze third party models for financing or  
22 applicability in New York City, and I know that  
23 will be mentioned too. So, in summary, the market  
24 potential and feasibility of this technology is  
25 tremendous. I've experienced a willingness with



1  
2 all of the city's agencies I have dealt with over  
3 the past ten years to consider the merits and  
4 special considerations for this technology, and  
5 that includes the DDC, DOT, DEP, EDC, DCAS and  
6 Parks. Besides the private sector opportunities,  
7 New York City as the largest landlord in the city  
8 has the unique opportunity. We mentioned, Sergej  
9 mentioned, DCAS, I'm aware that they're currently  
10 implementing energy performance contracts on some  
11 of their buildings. I understand that they were  
12 to require contractors to consider geothermal  
13 technology, and I'm also pleased about the New  
14 York City School Construction Authority embarking  
15 on their first geothermal project in Staten Island  
16 as part of their net zero. I have a couple of  
17 comments that I'm left with there, I don't think I  
18 need to read those or present them. My  
19 recommendations, additional recommendations then,  
20 to consider for this local law, this legislation,  
21 begin education and training, possibly through  
22 university resources at hand. I've given  
23 workshops at Bronx Community College, they're held  
24 now locally in Manhattan. I did that for a couple  
25 of years, and then they kind of dwindled off,

1 solar and wind, there were still a lot of  
2 workshops, but I think the word needs to get out.  
3 So contractor training I mentioned, not  
4 necessarily a study, but to survey and screen the  
5 city's existing building stock for viable  
6 candidate buildings, there are certain  
7 prerequisites of building size, availability of  
8 outdoor areas for drilling and condition, age and  
9 efficiency of the existing HVAC system, i.e., is a  
10 replacement or upgrade in order. And that's not  
11 so much a study, that's more doing a survey and  
12 screening, identifying buildings and get to work.  
13 That would include the city's landmark historic  
14 buildings. I would explore relaxing the  
15 permitting requirements, that was a message that  
16 came out of the EDC and it's been a personal- -

18 CHAIRPERSON GENNARO: (Interposing)

19 Right, yeah, I get that a lot.

20 MR. RHYNER: With the water tunnels  
21 and what not, I think there are things that can be  
22 ... let's see. And the other activities within the  
23 proposed study are valid to serving data on the  
24 existing GHP systems. There's some good city-  
25 owned and operated buildings, there's some private

1  
2 sector buildings out there that I think would be  
3 approachable with our help. Some other resources  
4 being developed, Long Island, I just came from a  
5 meeting last week, we're starting a Long Island  
6 Geothermal Association, and Long Island includes  
7 Brooklyn and Queens, so I think we can work close  
8 together with the city in that effort.

9 CHAIRPERSON GENNARO: It would be  
10 like a trade association?

11 MR. RHYNER: It's a grassroots  
12 geothermal organization, just like the New England  
13 geothermal professionals just started up.

14 CHAIRPERSON GENNARO: Right.

15 MR. RHYNER: There's a Connecticut  
16 geothermal.

17 CHAIRPERSON GENNARO: It's a trade  
18 association then, right?

19 MR. RHYNER: It's a trade  
20 association, yes. And we're all very excited  
21 about that, and we've got a lot of good resources  
22 over there.

23 CHAIRPERSON GENNARO: Is that  
24 kicked off yet, or?

25 MR. RHYNER: Last week was the

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

foundational meeting.

CHAIRPERSON GENNARO: I see.

MR. RHYNER: Yes, and I can certainly talk to them about our involvement with the city. And that's it, thank you.

CHAIRPERSON GENNARO: Thank you, and thank you, Mr. Rhyner, I'll have questions and comments for you, and I appreciate you coming here and giving us the benefit of your views and I am trained as a geologist, so I--

MR. RHYNER: (Interposing) That's what I heard.

CHAIRPERSON GENNARO: ... hear you. I mean, I don't think I could find the eutectic point on a binary phase diagram any more, but I could try.

MR. RHYNER: Good.

CHAIRPERSON GENNARO: And so I have your statement, and sir?

MR. DiENNA: Jack DiEnna, John DiEnna.

CHAIRPERSON GENNARO: Okay, and do I have your statement?

MR. DiENNA: You should.

1  
2 CHAIRPERSON GENNARO: Okay, what is  
3 your statement?

4 MR. DiENNA: You should have Geo-  
5 nii on the top.

6 CHAIRPERSON GENNARO: Okay, let me-  
7 -

8 MR. DiENNA: (Interposing) I sent  
9 it to Samara.

10 CHAIRPERSON GENNARO: Okay, I need  
11 this gentleman's statement. I'm not going to  
12 look, I'm going to sit here until it appears in my  
13 hands, okay. This isn't hard, the Chairman needs  
14 a statement. This is not hard to do. And we're  
15 joined by Council Member Crowley. Nice to see  
16 you, I'm waiting for my statement.

17 MR. DiENNA: He does, John has a  
18 copy of it he can give you until they find one.

19 CHAIRPERSON GENNARO: Oh no, just  
20 give it to the sergeant, good. Oh okay, well just  
21 so I can follow along. Fine, okay. Sorry about  
22 that, I didn't mean to make a whole thing about  
23 it.

24 MR. DiENNA: That's okay.

25 CHAIRPERSON GENNARO: So, Mr.

1  
2 DiEnna, I'm very happy to have you here, just  
3 please state your name for the record and proceed.

4 MR. DiENNA: Sure. My name is John  
5 P. DiEnna, Jr., I'm the Executive Director of the  
6 Geothermal National and International Initiative,  
7 the Marketing Chairman of the International Ground  
8 Source Heat Pump Association in Stillwater,  
9 Oklahoma, and former director of the Geothermal  
10 Heat Pump Consortium, and I'm also currently  
11 consulting with New York State Energy Research  
12 Development Authority and have worked with them  
13 since 2000 in the development of GHP technology in  
14 New York State.

15 CHAIRPERSON GENNARO: Sorry,  
16 continue.

17 MR. DiENNA: That's okay. Chairman  
18 Gennaro, Council members and invited guests, thank  
19 you very much for the opportunity to address you  
20 today regarding facilitating the development of  
21 geothermal heat pump technology in New York City.  
22 I have read the proposed legislation and I applaud  
23 your efforts, but I would suggest that this could  
24 be stronger. Let me first tell you, I've been in  
25 geothermal technology since 1985, I started when I

1  
2 was two ... no, I'm only kidding. There are over  
3 100 projects right now in the five boroughs  
4 currently in operation, so to study geothermal  
5 sub-zones seems redundant. I might add that 90%  
6 of those 100 jobs, projects, are closed-loop  
7 vertical bore. To design a geothermal system, as  
8 John stated, there has to be studies done, there's  
9 got to be thermal conductivity studies done,  
10 there's got to be a number of studies done,  
11 including the feasibility, both economically and  
12 technically, as to whether it works. So to do a  
13 study to look at this seems very, very time-  
14 consuming and redundant. This technology is a 60-  
15 year-old technology, so I would suggest that a  
16 better use of the resources would be to establish  
17 standards for the installation of these systems in  
18 the five boroughs. Our industry, which I  
19 represent, has the accreditation certifications  
20 and standards already in place that we will share  
21 with you. In fact, currently we are training,  
22 professional training development in Albany,  
23 actually it's in Saratoga Springs at the Tec-Smart  
24 facility under Hudson Valley Community College.  
25 As you stated before, geothermal heat pumps use

1  
2 the earth's thermal properties in conjunction with  
3 electricity to provide heating and cooling to  
4 facilities such as schools, hospitals, office  
5 buildings and houses. It does this by using the  
6 energy under our feet, this energy we already own,  
7 to deliver space conditioning and water heating to  
8 these facilities. This technology offers triple  
9 the solutions of energy independence and security,  
10 environmental stability and economic prosperity.

11 A recent study conducted by the Rockefeller  
12 Foundation and DB Climate Change Advisors makes  
13 the point that buildings consume approximately 40%  
14 of the world's primary energy and are responsible  
15 for 40% of the global carbon emissions. They also  
16 state that upgrading or replacing energy-consuming  
17 equipment in buildings offers an important capital  
18 investment opportunity with the potential for  
19 significant economic, climate and employment  
20 benefits. They go on to say that investment of  
21 this type of initiative could yield more than one  
22 trillion of energy savings over ten years, which  
23 is equivalent to savings of approximately 30% of  
24 the annual electricity spent in the U.S., and  
25 according to a report from the U.S. Department of



1  
2 Energy, 40% of that energy used in buildings is  
3 for space conditioning and water heating. The  
4 State of Maryland recently passed senate bill 652,  
5 which effectively makes geothermal heat pumps an  
6 acceptable technology available for renewable  
7 energy credits under the state's renewable  
8 portfolio of standards. This action recognizes  
9 GHP's, geothermal heat pumps, as a renewable  
10 energy source that does not need the sun to shine  
11 or the wind to blow, and works 24/7, giving  
12 utilities credit for the thermal load avoided.  
13 I've recently done a survey of projects installed  
14 in New Jersey, and after reviewing the work of  
15 just two design professionals that they have  
16 collectively designed and installed 52,000 tons of  
17 capacity, which accounts for over 20 million  
18 square feet. The New York City residential market  
19 comprises over 66% of the total floor area and the  
20 institutional market accounts for another 9.8% in  
21 the five boroughs. This points to a major  
22 opportunity for geothermal heat pumps to make a  
23 dramatic impact in these markets. I've discussed  
24 two of the solutions, energy independence and  
25 security and environmental stability, but the most

1  
2 important one, I believe, is economic prosperity.  
3 The workforce for this technology is comprised of  
4 90% green-collar workers, and 10% white-collar  
5 workers. In a recent industry survey, we found  
6 that a commercial project touches 22 job  
7 classifications, this does not include the pipe or  
8 compressor manufacturer. Currently I'm working  
9 with NYSERDA to bring professional development  
10 training to New York State and create a stronger  
11 sustainable infrastructure. I am also in  
12 discussions with some of the PSC commissioners who  
13 support the expansion of GHP technology in New  
14 York State. I have included with this testimony a  
15 report that the Geothermal Heat Pump Consortium  
16 did for NYSERDA in 2003, in which we identified  
17 the 106 geothermal heat pump system installations  
18 across the state, which accounted for a total of  
19 17,387 tons of heating and cooling capacity and  
20 served over 6.6 million square feet of facility  
21 space. These systems reduced demand by 15.3  
22 megawatts of energy, and accounted for 128.3  
23 megawatts thermal. The report also shows fossil  
24 fuel savings, carbon reductions and barrels of  
25 crude saved. By the way, as I stated, every

1  
2 report was done in 2003. In conclusion, I  
3 appreciate the opportunity to address the Council  
4 and discuss the various benefits that this  
5 technology would afford your constituency. I  
6 would leave you with one last thought, and that  
7 is, geothermal technology is beyond green, it's  
8 gold, sitting right below the ground outside your  
9 building. Thank you.

10 CHAIRPERSON GENNARO: Thank you,  
11 thank you, very poetic, okay. Thank you. I  
12 really you being here, and I'll have questions and  
13 comments for the whole panel, I really appreciate  
14 your statement. And the slips. Mr. Collins,  
15 right?

16 MR. COLLINS: Yes.

17 CHAIRPERSON GENNARO: Okay. Do we  
18 have a statement? Okay, and this is you here,  
19 right?

20 MR. COLLINS: That's the first  
21 page.

22 CHAIRPERSON GENNARO: Okay, yes.  
23 Okay. Please state your name for the record and  
24 proceed.

25 MR. COLLINS: My name is Andrew

1  
2 Collins, I am the principal of P.A. Collins PE,  
3 Consulting Engineers and we are mechanical  
4 engineers, New York City-centric, we work in all  
5 of the boroughs and surrounding areas. I have  
6 prepared a presentation here, which as I've  
7 understood that you all understand that we can do  
8 it shallow, we can do it deep, we can do it  
9 cheaper, more expensive, less efficient, more  
10 efficient, so I encourage you all to turn to the  
11 last page, which are my suggestions, which run  
12 more along a legislative vein.

13 CHAIRPERSON GENNARO: Right, thank  
14 you.

15 MR. COLLINS: Rather than a  
16 geological vein, because I've understood that you  
17 all have gotten it.

18 CHAIRPERSON GENNARO: Okay.

19 MR. COLLINS: So what I wanted to  
20 point out is that as engineers we started working  
21 with geothermal in 1996, and have- -

22 CHAIRPERSON GENNARO: (Interposing)  
23 Sir, if you could just speak right into the  
24 microphone.

25 MR. COLLINS: Sure.

1  
2 CHAIRPERSON GENNARO: So that  
3 everybody can hear, that would be great.

4 MR. COLLINS: Sorry about that.  
5 I'm a little bit further away, so I'll raise my  
6 voice.

7 CHAIRPERSON GENNARO: There you go.

8 MR. COLLINS: So we started working  
9 with geothermal installations in 1996, and we  
10 found at that time the industry was not very  
11 mature at all. And we're now in the year 2012 and  
12 we have found that the industry still in the New  
13 York City environs is not very mature at all. We  
14 haven't attained critical mass. So, because we're  
15 consulting engineers, we don't work with one-,  
16 two- and three-family building owners or even  
17 renters or anybody who might have one very often,  
18 we are working with commercial installers, larger  
19 buildings. We did the first geothermal  
20 installation in Manhattan, which was 9 East 64<sup>th</sup>  
21 Street, it was originally to be an institutional  
22 building, later it became a- -

23 CHAIRPERSON GENNARO: (Interposing)  
24 Where was that installation? Where was that?

25 MR. COLLINS: 9 East 64<sup>th</sup> Street.

CHAIRPERSON GENNARO: Oh, okay.

MR. COLLINS: It was in conjunction with Cornell University and a couple of other institutions who later had to sell the property, for a variety of reasons which are unknown to me. We then did four buildings right down here on Reade Street, about two blocks north, which if memory serves, 138, 140, 144 and 156 Reade Street. Those are standing-column wells and they're all single-family dwellings, they were sold for very high prices already many years ago, so it doesn't really represent a large market. And I would like to address my remarks today to markets which are larger and will create, if you will, critical mass for the geothermal industry here in New York City. So there are many, many organizations which John and Jack are representatives in the U.S. and also locally. One of them is IGSHPA, which is the International Ground Source Heat Pump Association, and they are based out of Oklahoma, Stillwater, Oklahoma, Oklahoma State University. And they had a big tradition of being drillers from the petroleum industry and then recycled themselves and started looking at geothermal, all of which ...

1  
2 all of the installations involve drilling. So  
3 they have not only accreditation functions, I  
4 myself am accredited by them as a geo-exchange  
5 designer, so we know how to drill holes in the  
6 dirt and how to pull heat out of it in the  
7 wintertime and how to reject heat to it in the  
8 summer, and as part of that accreditation they  
9 have established basically a web-based databank  
10 where you can go in, and if you are on the eastern  
11 end of Long Island or up in Queens or in the  
12 Bronx, or wherever you are, you can look and see,  
13 well, who is an accredited geothermal installer in  
14 my area, who is an engineer who might know about  
15 this, who is an HVAC guy who is a person who can  
16 drill into the ground, and it's very convenient.  
17 Unfortunately, it is a national database, so it's  
18 not very dense for New York City. However, we  
19 have the ability to create some ... create these  
20 databanks here and some synergies, because we do  
21 have a lot of organizations that are involved with  
22 this. Jack had mentioned NYSERDA, if you go into  
23 NYSERDA and start searching their site, which is  
24 not very friendly, however, there are a lot of  
25 PON's, program opportunity notices, which say "you

1  
2 can get a subsidy for solar, as an owner of a one-  
3 , two- or three-family", "you can get a subsidy  
4 for purchasing geothermal heat pump equipment".  
5 However, there is no single point or place where  
6 you can go where that information gets pulled  
7 together for you. Now I'm a consulting engineer,  
8 so somebody comes to me and says, "You know, I  
9 want to do this", and I've got my sources and I  
10 can pretty much pull that together for them, and  
11 that's one of the things that we do as a  
12 consulting engineering firm, somebody comes and  
13 wants to do geothermal, you say, "Okay, fine,  
14 we're going to pull together an integrated design,  
15 construction, and hopefully afterwards maintenance  
16 group for you", so we have my firm, which does the  
17 inside of the building, we have geothermal  
18 consultants who will design the geo exchange. We  
19 know all the well drillers in the area, and they  
20 are all wildcatters, which is an issue I would  
21 like to address specifically. We need to have  
22 training for the trades, and I think Jack alluded  
23 to that and stated it clearly in some areas, but  
24 if you would like to have geothermal for your  
25 house, or your one, two, three, even three-family



1 dwelling, even a small apartment building, five  
2 stories, that has perhaps a front setback, it  
3 maybe has a parking lot in the back, you're going  
4 to repave anyway, so this is the ideal time to  
5 drill and put this in here, how do you go about  
6 doing that, as a building owner or a building  
7 manager? Well, you need to be able to go  
8 somewhere. So I would urge you, as part of this  
9 study, to figure out how we can start establishing  
10 a central clearinghouse where we get Con Edison,  
11 NYSERDA, all of them, the national grid which is  
12 active in part of the city, all of these different  
13 organizations which do have subsidies, do have  
14 resources, there is ... NYSERDA has a program called  
15 the Multi-family Partner Program, MPP, for larger  
16 buildings, where they have assigned subsidized  
17 consulting engineers who will go out and they will  
18 do an energy audit of your building for you, all  
19 with NYSERDA moneys, and then help you with the  
20 energy-efficient part of the retrofit costs that  
21 you have. So they're not going to give you new  
22 windows, they will help you get better windows  
23 than the ones you could afford, but you have to  
24 prove that it's going to pay back. One of the  
25

1  
2 most important points that I wanted to make today  
3 is that Con Edison is generally the electrical  
4 power supplier for us here in New York City. They  
5 reclassified geothermal energy as a fossil fuel  
6 source of energy. Round about the year 2000,  
7 about the year 2000, I appeared in front of the  
8 Public Service Commission and tried to testify  
9 against them, claiming that geothermal is an  
10 electrically-driven technology, clearly it is,  
11 because we are not mining, we are not pulling any  
12 fossil fuels out of the ground, we're really not  
13 altering the thermal nature of the ground, because  
14 we are ... while we are a heating-dominant climate,  
15 and we might extract a little bit more heat than  
16 we put back in the summertime, generally the  
17 systems, if they're properly designed, have a  
18 neutral point, right, so we're pulling out just  
19 about as much heat as we're putting back in, and  
20 the ground is not affected.

21 CHAIRPERSON GENNARO: Sergeant, I'd  
22 just like to ask you to close them, we're getting  
23 some noise from the hallways, it's very  
24 distracting. Thank you.

25 MR. COLLINS: So I would encourage

1  
2 the Council, if it were possible, to address this  
3 issue with Con Ed and have geothermal energy,  
4 especially for the one-, two- and three-family  
5 buildings out there, reclassified as an all-  
6 electric rate, so that the operating costs for  
7 heating and cooling are reduced. The difference  
8 is about, if you take a blended rate, your normal  
9 EL1, which is residential, you're paying about 22  
10 to 24 cents for a kilowatt hour, which is very  
11 high, it's one of the highest in the world. If  
12 you go all-electric, you're down to about 14  
13 cents, so you're looking at saving about 10 cents  
14 a kilowatt hour, even when you're watching TV, and  
15 that is very attractive to people, and I think we  
16 need to make geothermal attractive to everybody  
17 that's out there who has a potential interest and  
18 may not even realize it. At the same time,  
19 national grid, LIPA, NYPA, Con Ed, and NYSERDA at  
20 this moment have subsidy programs for  
21 photovoltaics. Now geothermal systems on the  
22 cooling side would have their peak demand when  
23 photovoltaic is also generating the highest amount  
24 of electricity, which is during the daytime, the  
25 sun is shining, it's hot outside, and this would

1  
2 help balance out the peak demands between summer  
3 and winter. In fact, we were introduced to  
4 geothermal by Con Ed in 1996 in a conference where  
5 we were invited, because at that time Con Ed was  
6 still a utility company. So they owned power  
7 generation facilities and also the distribution,  
8 they had to maintain everything, they had to  
9 meter, they had to bill, they had to do the whole  
10 nine yards. They subsequently converted  
11 themselves into an ESCO, they no longer own the  
12 generation plants, so their interest in balancing  
13 the peak air conditioning loads, which is the  
14 highest load you would see as a utility company,  
15 with a lower peak for heating in winter, has  
16 disappeared. So the need to conserve energy and  
17 the need to not build large power plants, the need  
18 to have distributed generation, has not changed,  
19 whether or not Con Ed is an ESCO or not. So I  
20 think they need to be brought back into the fold  
21 and asked to reclassify geothermal heat pump  
22 installations as all-electric. Okay, so that's  
23 one of the major points I wanted to make. Moving  
24 along, we need to be able to have installers ... I'm  
25 sorry? Okay, we need installers who are able to

1 handle the simple kind of installation that one-,  
2 two- or three-family house would like to have, and  
3 I'm sorry Jim Bose isn't here, because he made a  
4 big impression on me when I met him with a drill  
5 rig that he was working on, where he claimed he  
6 could sit in the front yard of a house, it would  
7 be about the size of a golf cart, and he could  
8 drill under the house, under the basement, and  
9 within a two-foot radius, he could tell you where  
10 he would come up on the other side, and that's a  
11 loop which has about a two-ton cooling capacity,  
12 which might be adequate for a small 1,200 or 1,500  
13 square foot single-family dwelling in some of the  
14 outer boroughs, not close into downtown Brooklyn.  
15 Clearly Manhattan is not really the market for  
16 that. But many parts of the non-bedrock boroughs,  
17 which are parts of Staten Island, southern Queens,  
18 southern Brooklyn, and the easterly portions of  
19 the city, could take advantage of that. And it  
20 would be lovely to have, to be able to have, a  
21 database where somebody could go in and say, gee,  
22 I'd really love to have geothermal for my house,  
23 my furnace just kicked the bucket, I want to go  
24 out and do that. Financing needs to be there, of  
25

1 course, because people can say probably afford  
2 something like \$150, \$200 more, maybe it's \$300,  
3 but their electrical bill comes down \$50 or \$60 or  
4 \$70 a month. To make this doable it would be nice  
5 to see a finance entity out there which is  
6 specifically geared to the smaller project, where  
7 the moneys and the loans are geared to a level  
8 that can be handled by customers such as this, and  
9 also have a term which runs about 50% of  
10 compressor life. I think we can put compressor  
11 life safely at about 15 years, we know that, it's  
12 a bell curve, some of them will fail on day one,  
13 some of them will run forever. You've seen the  
14 refrigerator in the garage that your grandmother  
15 had, so we know that some of these compressor  
16 motors run forever. But if a seven and a half  
17 year term were imposed on those loans, then you  
18 could say, well, the system is paid off after half  
19 its lifetime, it's probably going to run, some of  
20 the parts will last 20, 25 years, but the  
21 compressor probably dies after 15. Now we're  
22 looking at a situation where they're doing okay  
23 and they can afford this retrofit for seven and a  
24 half years, and after that for seven and a half  
25

1  
2 years they're picking in high cotton, because  
3 they're getting all the savings with no loan  
4 payments. So that's another suggestion that I  
5 would have. One of the ... and I think getting back  
6 to the well drillers, the most difficult part is  
7 to find somebody who can do the loops, and I'm  
8 confining my remarks at this point to what we call  
9 the loopers, because as we've heard from other  
10 people who have already been on the panel, from  
11 John and Jack, we have open-type systems, we have  
12 standing-column wells, these are systems that are  
13 really appropriate for higher-level projects, say  
14 institutional, large commercial who have  
15 engineers, who have maintenance staff and can deal  
16 with the kinds of problems that aggressive or  
17 unfavorable groundwaters bring with them, and are  
18 able to put in heat exchangers and deal with this  
19 in a very professional way, which would allow the  
20 infrastructure to exist for many years. 90% of  
21 the geothermal systems go in, as Jack stated, are  
22 closed-loop, for a very, very good reason. The  
23 first reason for me, it's very self-centered,  
24 these bore holes are less than 500 feet deep, so  
25 we do not need to deal with the New York State

1  
2 Department of Mineral Resources in the form of  
3 Peter Briggs, who says if it's more than 500 feet  
4 deep, it's a mine and I get to give you a permit.  
5 I don't think we're interested in giving permits  
6 on closed-loop or any kind of well, because I'm  
7 not sure it's a mineral resource. Again, this  
8 speaks to the permitting that John Rhyner  
9 mentioned, and we would like to see that  
10 simplified and which would allow this technology  
11 to get out there a little bit easier. So at this  
12 point we have a short list of about eight, if you  
13 stretch all the way out to Vermont ten, well  
14 drillers, whom we can call to the table when we  
15 have generally a commercial project or a very,  
16 very large residential project, you know, some  
17 mansion, somebody who is very well-to-do. This is  
18 not the market I would like to see expand, because  
19 that market is already there, its people are  
20 sophisticated, they read the papers, they  
21 understand the tax advantages, they understand the  
22 energy advantages. We would like to reach out to  
23 the people that perhaps don't understand it 100%,  
24 but being presented with the situation where they  
25 are able to purchase this from competent



1  
2 tradespeople, from competent loopers, they can  
3 actually get this done for their buildings. So I  
4 would like to see training, perhaps the trades,  
5 the unions in the form of guilds, start to have  
6 training for closed-loop installers, it's not  
7 complicated, there is a lot of technology that's  
8 basically off-the-shelf, there are many engineers  
9 up in the northern part of the state who also  
10 offer installation services. They purchase the  
11 tubing, the fittings, from known national  
12 suppliers, and it's really an erector set-type of  
13 activity, it is not complicated. It's easy to do,  
14 and if this clearinghouse were established and we  
15 managed a critical mass with the installers  
16 outside of the house in the form of loops, which  
17 are low-maintenance, you fill them with the water-  
18 glycol solution, it's a mixture, you basically  
19 have a lifetime, it's very, very, long, I don't  
20 know how long the loop ... 50 years, says Jack. I  
21 believe that we haven't had one fail yet. At the  
22 rate I'm going, I'm not going to see one fail,  
23 which is very pleasant. On the one hand. And the  
24 geothermal equipment is available from Climate  
25 Master, a water furnace, a floor-to-heat pump,

1  
2 Carrier and Trane, major manufacturers, are having  
3 the equipment labeled for them, produced by people  
4 who have a lot of experience at it, so it's all  
5 out there. So my message to you, to the Council,  
6 is that it's all available to us, how do we make  
7 this available to the people out there who would  
8 like it, and at the same time create this  
9 infrastructure which is going to allow less energy  
10 consumption, less air pollution, it's going to  
11 wean us off an energy budget which includes a lot  
12 of imported energy, we can reduce that a great  
13 deal. We are ... even though we are a relatively-  
14 cloudy place, we have a lot of photovoltaic  
15 available to us, and if we start getting the  
16 weatherization programs that are available to us  
17 through NYSERDA and the utility programs, with the  
18 photovoltaic subsidies and programs already in  
19 place, and create a geothermal database that gets  
20 us up to critical mass, I think we can do things  
21 which will be admirable in the eyes of the world.  
22 I think people will look to us as an example.

23 CHAIRPERSON GENNARO: Thank you,  
24 thank you. Wow, that's a lot to absorb. Let me  
25 kind of pose some comments or questions and try to

1  
2 see how well I did here. Hopefully the staff is  
3 taking notes of that great body of information  
4 that just came my way. With regard to Con Ed, for  
5 Mr. Collins, with regard to Con Ed, with the  
6 classification of all-electric versus fossil fuel,  
7 I missed like why that matters.

8 MR. COLLINS: That is because if  
9 you are heating and cooling your house with  
10 electricity as the mode of force, you need to  
11 purchase that energy. And if you get the normal  
12 EL1, which is what we all have, apartments,  
13 houses, all the same, you just get your bill and  
14 you look at it, it will say EL1, which is your  
15 service classification. And if you do away with  
16 all the mumbo jumbo they put in your bill.

17 CHAIRPERSON GENNARO: Right.

18 MR. COLLINS: Take the moneys and  
19 divide it by the kilowatt hour, you're going to  
20 see that you're paying 22 to 24 cents per kilowatt  
21 hour, that's what we're all paying, all of us in  
22 this room. And if you get the all-electric rate,  
23 it's going to be 14 cents, that's almost a 50%  
24 reduction.

25 CHAIRPERSON GENNARO: But what does

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

that mean? And I'm making a (crosstalk) here.

MR. COLLINS: The all-electric rate would be service classification, I think it's 1B or 1C, something like that.

CHAIRPERSON GENNARO: Which means these are people who use electricity for everything.

MR. COLLINS: Everything. You only have one electric meter, so it comes in.

CHAIRPERSON GENNARO: Right.

MR. COLLINS: Assuming you have photovoltaic, eventually some of it might go out, which would be nice.

CHAIRPERSON GENNARO: Right.

MR. COLLINS: So you're purchasing kilowatt hours to do whatever, run your dishwasher, watch TV, turn the lights on.

CHAIRPERSON GENNARO: Right.

MR. COLLINS: All that sort of stuff, 24 cents per kilowatt hour. The all-electric rate, which is called E1, I think it's 1, and then there's a B or a C.

CHAIRPERSON GENNARO: If you look at people who heat and cook with electric.

2 MR. COLLINS: All electric.

3 CHAIRPERSON GENNARO: All electric.

4 MR. COLLINS: That's correct,  
5 because there are some houses that are even  
6 housing projects that made a sweetheart deal with  
7 Con Ed, they said, look, we're going to go all-  
8 electric, however, we would like to purchase this  
9 at an advantageous rate.

10 CHAIRPERSON GENNARO: Right.

11 MR. COLLINS: This is all captured  
12 under rates approved by the Public Service  
13 Commission. So the place to start is to go to the  
14 Public Service Commission and say, look, we're  
15 having an initiative. We have a study that shows  
16 us that we can save a great deal of energy by  
17 going with geothermal technology, but as part of  
18 this, we would like to see Con Edison meet us and  
19 say, okay, geothermal technology is an  
20 electrically-driven system, and it is, it's a  
21 compressor just like you have in your  
22 refrigerator, just like in a window air  
23 conditioner, just like any other compressorized  
24 product that you have in your home or in a  
25 commercial installation. The difference is,

1  
2 instead of being coupled to the air, which is at  
3 90 degrees during the summer or higher, it's using  
4 the ground, which is at 55 degrees, approximately,  
5 which is a much nicer temperature difference for  
6 what you want to do.

7 CHAIRPERSON GENNARO: Right.

8 MR. COLLINS: And in the  
9 wintertime, instead of using say an average ... the  
10 average winter temperature in New York City is 37  
11 degrees F and rising, you could be looking at  
12 using 50, 51, 54, 55 degree water.

13 CHAIRPERSON GENNARO: Right, but  
14 just to play the devil's advocate, I mean, they  
15 only ... the way they view it is that they want all  
16 the power to be purchased from them, but you're  
17 saying in a way it is, because there's like  
18 electrical stuff that has to run to do the- -

19 MR. COLLINS: (Interposing) The EL1  
20 is designed for fossil fuel heating, which today  
21 means natural gas or oil, number two.

22 CHAIRPERSON GENNARO: Right.

23 MR. COLLINS: And geothermal heat  
24 pumps simply don't do that, they use electricity  
25 to spin a motor. I approached the gentleman from

1  
2 Con Ed who appeared in opposition at the Public  
3 Service hearing and asked them why they were doing  
4 it, tears in my eyes. And they said, ah, it's a  
5 business decision. So they must be brought to the  
6 table, they're going to come kicking and  
7 screaming, let me assure you of this. They don't  
8 want to hear about this, because they're an ESCO,  
9 and their job is to sell electricity at the  
10 highest possible rate. But we need to make sure  
11 that they can't do that in the instances where  
12 it's inappropriate.

13 CHAIRPERSON GENNARO: Right.

14 MR. COLLINS: And I believe this- -

15 CHAIRPERSON GENNARO: (Interposing)  
16 And they're going to see it as a guy who wants to  
17 heat with geothermal and he also wants to cut his  
18 electric bill from Con Ed.

19 MR. COLLINS: Well, but he's going  
20 to be using more electricity, right? He's using  
21 gas or oil for heating.

22 CHAIRPERSON GENNARO: I'm just  
23 thinking this through, I'm not- -

24 MR. COLLINS: (Interposing) No, no,  
25 they will be kicking and screaming.

2 CHAIRPERSON GENNARO: Right.

3 MR. COLLINS: No question about it.

4 CHAIRPERSON GENNARO: Okay.

5 MR. COLLINS: And we had in '96  
6 started out, there was at that time a geothermal  
7 rate, which is why Con Ed called us in and  
8 presented it to us, that's 1996.

9 CHAIRPERSON GENNARO: Right.

10 MR. COLLINS: By the year 2000, I  
11 find myself sitting in front of the Public Service  
12 Commission- -

13 CHAIRPERSON GENNARO: (Interposing)  
14 Oh, because this was, it was a change to make it.

15 MR. COLLINS: It was a change, yes,  
16 I'm sorry, I didn't explain that.

17 CHAIRPERSON GENNARO: Okay, so  
18 there was a change to make it.

19 MR. DiENNA: There was a geothermal  
20 heat pump rate previously.

21 CHAIRPERSON GENNARO: Right, right.  
22 Jack, just talk into the microphone.

23 MR. DiENNA: Sorry, and I have to  
24 tell you, I am working with the Public Service  
25 Commission right now, not only to effect change in



1  
2 that type of relationship, but they're also  
3 looking at it to model or to look into modeling  
4 the same action that the PSC of Maryland did, and  
5 that is declaring it a renewable resource.

6 CHAIRPERSON GENNARO: Right. I was  
7 going to get to you, I was going to get to you in  
8 a minute.

9 MR. DiENNA: Yeah. That, what  
10 Andrew is talking about was a geothermal heat pump  
11 rate that mirrored the electric heat rate, and as  
12 Andrew said, it was just a change that we're not  
13 going to classify that as electric heating any  
14 more. I've got a utility background, I was one of  
15 the ones that created a geothermal heat pump rate  
16 across the board.

17 CHAIRPERSON GENNARO: Sure, but  
18 they're on the record as having done this already.

19 MR. DiENNA: Yes.

20 CHAIRPERSON GENNARO: When they  
21 were in a different mode, right.

22 MR. COLLINS: Yes, when they were a  
23 power company, their interest was to bring the  
24 summer peak demand down, because geothermal has a  
25 much lower peak demand than air cooled would.

2 CHAIRPERSON GENNARO: Okay.

3 MR. COLLINS: Because of the  
4 favorable temperatures that we have in the ground.  
5 Once they became an ESCO, their interest waned.

6 CHAIRPERSON GENNARO: Right, sure.  
7 Okay, well that should be easy.

8 MR. COLLINS: You are the  
9 legislature.

10 CHAIRPERSON GENNARO: What's that?

11 MR. COLLINS: You are the  
12 legislature.

13 CHAIRPERSON GENNARO: Yes, the  
14 local legislature. But there is that history  
15 there, so that I think bodes better than had it  
16 not been that way. And all the other good  
17 testimony that you gave us, Mr. Collins, I ... the  
18 staff took good notes on that, and ... but the  
19 fossil fuel thing seems key, you know. So thank  
20 you, thank you, I might come back to you, but that  
21 was very good to know. And Jack, you don't mind  
22 if I call you Jack?

23 MR. DIENNA: Not a bit.

24 CHAIRPERSON GENNARO: Okay. Let's  
25 talk about two things that you talked about that

1  
2 jumped out at me were about the accreditations and  
3 certifications and standards, and also what  
4 Maryland did to make this technology available for  
5 REC's, I guess.

6 MR. DiENNA: Yes.

7 CHAIRPERSON GENNARO: And to be  
8 eligible for the RPS, I guess, money, right?

9 MR. DiENNA: Yes.

10 CHAIRPERSON GENNARO: So I'm going  
11 to presume that we don't have this now, right?

12 MR. DiENNA: Well, let me start  
13 with the accreditations- -

14 CHAIRPERSON GENNARO: (Interposing)  
15 All right, let's start with that.

16 MR. DiENNA: Because I do represent  
17 the International Ground Source Heat Pump  
18 Association that Andrew was talking about. We do  
19 have accreditations, there are 238 installers  
20 across the State of New York. Unfortunately,  
21 they're not here, they're upstate typically. But  
22 there is a movement with NYSERDA, in fact I have a  
23 meeting with them on Thursday, for commercial  
24 buildings to establish a Workforce Development  
25 project to where we train installers, loopers,

1  
2 drillers, that type of scenario, so that we can  
3 build a sustainable infrastructure to better  
4 support the growth of this technology in New York  
5 State. The Public Service Commission is looking  
6 at this very, very seriously, about looking at  
7 what Maryland did, and classifying this as a  
8 thermal asset. I'm going to tell you it's  
9 basically because this technology is going to help  
10 us more so in space conditioning and cooling,  
11 which is when we have our peak demands. Right now  
12 in Oklahoma we've done a study that they're  
13 experiencing .75 KW reduction per installed ton of  
14 capacity. So that's almost one KW per installed  
15 ton of capacity reduction in your load. So that's  
16 where this would really benefit us, especially in  
17 the institutional, or better yet in the light  
18 residential, and really- -

19 CHAIRPERSON GENNARO: (Interposing)

20 Let me ask you one other thing, because when we ...  
21 with regard to what ... oh, you want to talk about  
22 the standards before we get to the Maryland thing?

23 MR. DiENNA: Sure.

24 CHAIRPERSON GENNARO: Yeah, okay.

25 But I'm kind of jumping around. With regard to

1  
2 what Maryland did, is there any other state that  
3 has done that also? It seems that the Maryland  
4 senate passed this.

5 MR. DiENNA: Yes.

6 CHAIRPERSON GENNARO: But has it  
7 gone through the other house and been passed?

8 MR. DiENNA: It has, the governor  
9 signed it.

10 CHAIRPERSON GENNARO: The governor  
11 signed it, okay.

12 MR. DiENNA: The governor signed  
13 it. There are three other states, and by the way-  
14 -

15 CHAIRPERSON GENNARO: (Interposing)  
16 How many other states have gotten on board here?

17 MR. DiENNA: ... I should clarify  
18 something. There's more geothermal heat pumps in  
19 New Jersey, Pennsylvania, New York and Maryland  
20 than anywhere else in the United States. So this  
21 is not a new technology for any of us on the East  
22 Coast.

23 CHAIRPERSON GENNARO: These are the  
24 states that- -

25 MR. DiENNA: (Interposing) Have the

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

most projects installed.

CHAIRPERSON GENNARO: But has that been done by virtue of them being available for renewable energy credits and RPS stuff?

MR. DiENNA: No, it's actually been done done because of NYSERDA in New York, and because of the heavy installation capacity in New Jersey and Pennsylvania. That's really why that's happened. There has been no state initiative and Pennsylvania and New Jersey as of yet. There has been an initiative with NYSERDA from 2000 until the present time. In fact in NYSERDA in 2003, as I said, and I gave that to you, I think we had over 135 installations that we counted then.

CHAIRPERSON GENNARO: Right.

MR. DiENNA: That was 2003, so we've gone on from that point and every two years we hold training classes, and this is Workforce Development, this is in curriculum classes, it's taking people that are already water well drillers, as Andrew said, and taking them into the realm of geothermal drillers and installers.

CHAIRPERSON GENNARO: And how do we get these accreditations, certifications? Would

1  
2 that be something that the city would do or could  
3 do, or the state would do?

4 MR. DiENNA: The state could ... the  
5 city could do it, the state could do it, we're  
6 usually using a community college to do that, but  
7 IGSHPA, the International Ground Source Heat Pump  
8 Association, has the accreditations and what we  
9 would do is bring in trainers that we already have  
10 in state to give accredited classes.

11 CHAIRPERSON GENNARO: Right. But  
12 right now it's the wild, wild west, right? I call  
13 myself a so-and-so tomorrow and- -

14 MR. DiENNA: (Interposing) Actually  
15 it's not so much happening that much, but as  
16 Andrew said, there are some, you know, anytime you  
17 see a movement, everybody becomes an expert.

18 CHAIRPERSON GENNARO: Right.

19 MR. DiENNA: But the big part about  
20 this technology is that unlike typical HVAC, when  
21 you install it, if it's wrong, you can just go in  
22 and fix it. We're installing geothermal heat  
23 pumps or ground loops that are good for 50 years,  
24 so that's great if it's a good job. If it's a bad  
25 job, it's a 50-year headache. So that's what

1  
2 we're trying to prevent. I think that you're  
3 going to see that that pipe that I'm talking about  
4 in Paul Bony's presentation.

5 CHAIRPERSON GENNARO: Okay. Yeah,  
6 so any kind of brainwaves that you can give us  
7 beyond just the short statement that is here, on  
8 how this could become part of the bill that we  
9 did, or whatever.

10 MR. DiENNA: I'll send you a  
11 redacted- -

12 CHAIRPERSON GENNARO: (Interposing)  
13 Okay, fine. And I'm going to direct the counsel  
14 of the Committee to get that from Jack, and is  
15 there any movement on the part of the state to  
16 make this technology eligible for renewable energy  
17 credits, or renewable portfolio standards.

18 MR. DiENNA: We're in discussions  
19 right now and as you can imagine, that is a fairly  
20 lengthy period. But up to this point- -

21 CHAIRPERSON GENNARO: (Interposing)  
22 There's certainly nothing stopping me as the  
23 Chairman of this Committee from writing them a  
24 letter saying that they should do this, or from me  
25 as sort of what we do here legislatively on this



1  
2 issue, we can do a bill locally and we can do what  
3 we call a resolution, which in our- -

4 MR. DiENNA: (Interposing)

5 Absolutely.

6 CHAIRPERSON GENNARO: Which in our  
7 legislative body a resolution is not a bill that  
8 becomes law, it's like a statement to some other  
9 level of government to do something. There's  
10 nothing stopping the City Council from the City of  
11 New York from doing a resolution.

12 MR. DiENNA: Sure.

13 CHAIRPERSON GENNARO: It would  
14 formally call upon the state to make it eligible  
15 for renewable energy credits and renewable  
16 portfolio standards, whatever.

17 MR. DiENNA: Absolutely.

18 CHAIRPERSON GENNARO: Again, it's a  
19 bigger deal to get the entire body to do that,  
20 because then the calls come in from so on and so  
21 forth, and it's not just a letter from me, it's  
22 like a statement on behalf of the entire  
23 institution that gets voted, yes, it's just a  
24 statement, but it's a pretty big deal when we as a  
25 body get together and say we're calling upon some

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

state entity to do this or that.

MR. DiENNA: Absolutely, I think that would be spectacular.

CHAIRPERSON GENNARO: I'm ... yeah, I just want to know what to do, and so that would be- -

MR. DiENNA: (Interposing) I can draft ... I'll send you things. The main thing, Chairman, that I want to state though, is we keep talking about emissions and energy independence, but if you don't have a job, you really don't care about those things. So basically what I'm saying is, let's get back to the people realm of this.

CHAIRPERSON GENNARO: You sound like something I would say.

MR. DiENNA: Put people to work.

CHAIRPERSON GENNARO: When I'm out on the hustings doing my thing.

MR. DiENNA: Yeah, we'd put people to work, and if ... and like I said in my statement, 90% of this is green collar, it's people that have been put out of work, whether they were factory workers or whatever. And if we have a large initiative in New York, we're going to see, I

1  
2 don't know if you knew this, but we used to have a  
3 geothermal heat pump manufacturer right here in  
4 New York State. I'm sure if this becomes that  
5 much bigger, that you will see our manufacturing  
6 folks think about putting factories back in New  
7 York State, and that's primarily what I promote,  
8 it's great that we have energy independence and  
9 security or emissions, but if I don't have a job,  
10 all that stuff goes by the wayside.

11 CHAIRPERSON GENNARO: Right.

12 MR. DIENNA: So that's primarily  
13 where we're looking at. And 90% of the people  
14 that are in this room that are in our industry are  
15 all of one voice. In fact, not 90%, 100%.

16 CHAIRPERSON GENNARO: Okay. Let me  
17 just ... thank you, thank you, Jack, and I made some  
18 notes on ... yeah, I made some notes on John, so is  
19 that my copy? Is that ... yeah, here you go. And  
20 John, I'll call you John, you don't mind.

21 MR. RHYNER: That's fine.

22 CHAIRPERSON GENNARO: With regard  
23 to the study, Columbia and EDC and all that,  
24 that's available to us? Or where do we get that?  
25 Is that some kind of proprietary thing or

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

something?

MR. RHYNER: I sent one of the studies already, but the one I referenced was more a Power Point presentation, which the students gave to EDC and me together.

CHAIRPERSON GENNARO: I was talking about like the block-by-block thing.

MR. RHYNER: Yeah.

CHAIRPERSON GENNARO: That one?

MR. RHYNER: That was ... it's not a published, bound study, it was end results were a presentation that they made to myself and EDC. EDC was their hypothetical client.

CHAIRPERSON GENNARO: Right.

MR. RHYNER: So I never ... I do have the presentation, I would talk to them.

CHAIRPERSON GENNARO: Yeah, well, I'm just thinking that we're- -

MR. RHYNER: (Interposing) With EDC it's- -

CHAIRPERSON GENNARO: (Interposing) That if we're running around and telling the city that they should do some kind of a study, but I think whatever- -

1  
2 MR. RHYNER: (Interposing) If it's  
3 something that's already been done, that you could  
4 benefit from.

5 CHAIRPERSON GENNARO: It's already  
6 been presented to EDC.

7 MR. RHYNER: To the committee.

8 CHAIRPERSON GENNARO: Which is the  
9 city pretty much, it's like a non-profit, it's a  
10 government corporation, which is very much part of  
11 the city.

12 MR. RHYNER: I think I would want  
13 to consult more with the Columbia grad students,  
14 because they're ... as a matter of fact, their  
15 illustration in that has a copyright of the  
16 students.

17 CHAIRPERSON GENNARO: Yes, I see  
18 that, okay, well certainly we've been made aware  
19 of it, and this will inform our discussions with  
20 the administration and- -

21 MR. RHYNER: (Interposing) Would  
22 you like me to reach out to Columbia? I can do  
23 that. I know the mechanical engineering  
24 department professor is still there, the students  
25 have moved on.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CHAIRPERSON GENNARO: Right.

MR. RHYNER: But I'm still ... it's up to you.

CHAIRPERSON GENNARO: We're kind of compiling all of the information that we can get on that, so why don't I ask Samara to talk to John about whether that's possible for us to get our hands on that. You guys have been tremendous, I have to move on to the next panel, but it's really a tremendous volume of information that you guys have brought forward, I really appreciate your willingness to be here and to ... and you must think I'm pretty smart to be able to actually assimilate everything you told me during the time of this panel, and I think I've got to put a jump drive in my ear or something to kind of like store this. But you guys have been terrific, we really appreciate what you've brought forward, and what you guys are doing for the industry, and I think we're really on to something here, and thank you for your presentation.

MR. DiENNA: Thank you.

MR. RHYNER: Our pleasure. The next panel, which I previously called.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MS. SWANSTON: You have those  
three.

CHAIRPERSON GENNARO: Do I have it?  
I'm not ... okay. Okay, yes, these are the people  
who ... Mr. Rick Bostian and Paul Bony, I'm not  
sure.

MR. BONY: Bony.

CHAIRPERSON GENNARO: Bony, okay.  
Yep, okay.

MR. BOSTIAN: Can I sit up here?

CHAIRPERSON GENNARO: Yeah, because  
I figure, you know, if P-O-N-Y is pony, then- -

MR. BONY: Then B-O-N-Y must be  
Bony.

CHAIRPERSON GENNARO: Right, right.

MR. BONY: You got it.

MS. SWANSTON: Water Furnace?

MR. BOSTIAN: His is on the screen.  
Will mine be on the screen? If not just leave me  
a copy.

CHAIRPERSON GENNARO: And I'll tell  
you what, I have to step out for 60 seconds, I'll  
come back, in the meantime you can get set up with  
the presentation, have the statements in front of

1  
2 me, and the counsel can swear in the panel, and  
3 I'll be back in just one minute.

4 MS. SWANSTON: He goes through it.

5 MR. BONY: Do you have a thumb  
6 drive we can ...

7 MS. SWANSTON: Excuse me.

8 CHAIRPERSON GENNARO: I got kind of  
9 a recommendation, so one of the witnesses has a  
10 presentation, or both Rick and Paul are dependent  
11 upon the presentation? On the audiovisual thing,  
12 right? Okay. Okay, while we're fixing it, do we  
13 want to let Terry go, just while we're doing it?  
14 And I take it that the panel is duly sworn, right?

15 MS. SWANSTON: No, they didn't get  
16 sworn yet.

17 CHAIRPERSON GENNARO: Okay.

18 MS. SWANSTON: Gentlemen, would you  
19 please raise your right hands? Do you swear or  
20 affirm to tell the truth, the whole truth, and  
21 nothing but the truth today?

22 MR. BOSTIAN: I do.

23 CHAIRPERSON GENNARO: Okay. And  
24 I'll tell you what, Terry, can you be the last one  
25 to testify on this panel? Is that okay for your



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

time thing? Will that work for you? What's that?

MR. O'BRIEN: By 4:00 I'm a  
pumpkin.

CHAIRPERSON GENNARO: Okay, great.  
That should be fine. Okay, I guess we'll start  
with Paul, right, we'll start with Paul, and ...  
right, and I'll note for the record that Mr. Bony  
and Mr. Bostian came from Oklahoma to be here,  
although I see Indiana also.

MR. BONY: And Colorado, so we came  
from everywhere.

CHAIRPERSON GENNARO: Okay. Great,  
so and your statement is this one, right, Paul?

MR. BONY: It looks like it, yes.

CHAIRPERSON GENNARO: Okay, great,  
okay, why don't we start with you?

MR. BONY: All right, well, good  
afternoon, Chairman Gennaro and distinguished  
members of the City Council. It truly is an honor  
and a pleasure to be here this afternoon to offer  
support for your efforts to explore measures that  
will facilitate and increase the use of geothermal  
energy sources in New York City. I am Paul Bony  
and I have over 25 years of experience focused on

1  
2 energy efficiency, renewable energy and electric  
3 utility peak demand management, and I am the  
4 Market Development Director for ClimateMaster,  
5 we're an Oklahoma-based manufacturer of geothermal  
6 heat pumps, with over a 1,000 dealers and  
7 distributors across the United States. Based on  
8 my experience, this pending legislation will  
9 provide many benefits to the citizens of New York  
10 City. The legislation will definitely save  
11 energy. As you've heard, buildings use nearly 40%  
12 of all U.S. primary energy, with heating, cooling  
13 and water heating accounting for nearly ½ of that  
14 use. Geothermal heat pumps can reduce the energy  
15 consumption of buildings by up to 50%. This  
16 legislation will save consumers money. Families  
17 and businesses can benefit greatly from energy  
18 efficiency upgrades, including geothermal heat  
19 pumps, that provide energy bill reductions. With  
20 the high cost of heating fuels and electricity in  
21 New York City, ground source heat pumps combined  
22 with building efficiency upgrades should easily  
23 allow families and businesses to reduce their  
24 annual energy use by 50% or more. This  
25 legislation will create jobs, the installation of

1  
2 efficient ground source heat pumps will generate  
3 employment for local labor. The installation of  
4 geothermal equipment and ground loops has to be  
5 done locally, it is impossible to import a ground  
6 loop from offshore. Based on my experience as a  
7 geothermal contractor, a business installing 50 to  
8 70 residential geothermal heat pump systems  
9 annually would employ seven full-time people in  
10 good-paying jobs. This would not include the  
11 employment by other subcontractors needed to  
12 provide related services, including energy audits,  
13 drilling the ground loops, electrical work,  
14 carpentry and weatherization upgrades. With over  
15 three million housing units, the replacement of  
16 fossil fuel heating systems with ground source  
17 technology will be able to generate construction  
18 employment in New York City for many years to  
19 come. This legislation will reduce the city's  
20 carbon footprint and summer peak electric demand.  
21 Geothermal heat pumps provide significant peak  
22 load reduction and improved electric system load  
23 factor. This allows the electric utility to  
24 provide energy efficiency to the rate payers and  
25 reduce the need for expensive new generation

1 without putting pressure on electric rates. These  
2 energy savings also provide approximately ten  
3 metric tons of annual carbon savings per home per  
4 year. In conclusion, ClimateMaster is very  
5 supportive of this legislation, I am convinced  
6 that it will provide great benefits to the  
7 millions of citizens of New York City, and will  
8 serve as a leadership example to city governments  
9 across the United States. Thank you for giving me  
10 the opportunity to share these brief comments with  
11 you this afternoon, and I've been asked to close  
12 my testimony with a short presentation on the  
13 basic operation of ground source heat pump  
14 systems. So we will start with that. So what is  
15 a ground source heat pump, also known as a geo-  
16 exchange system, a GX system, a geothermal or a  
17 ground-coupled heat pump system, and why should  
18 policy makers care about them? Well, as you've  
19 heard several times this afternoon, it's because  
20 that's where the energy gets used, and I should  
21 say, that's where the energy gets wasted. So,  
22 buildings are the primary contributor of carbon  
23 emissions in our economy, more so than  
24 transportation. So 39% of our primary energy goes  
25

1  
2 into buildings, and 20% of that goes to heating,  
3 cooling and the production of domestic hot water.  
4 If we can do that efficiently and with renewable  
5 energy, we can make a significant dent in the  
6 nation's carbon footprint. So a traditional  
7 fossil fuel system, which would be a furnace or a  
8 boiler, by theory can only be 100% efficient, if  
9 you could use all of the heat when you combust the  
10 fuel, plus those systems need electricity to move  
11 the energy. So at the end of the day, depending  
12 on age and tune-ups and how well the system was  
13 designed, only 70% to maybe 95%, and I think  
14 that's a stretch, of the energy consumed by a  
15 fossil fuel system actually makes it into the use  
16 of the conditioned space. The rest of what you  
17 would call stack emissions, so that's where the  
18 carbon dioxide comes out, if the hydrocarbons are  
19 unburned, that's where you get smog, and if you  
20 burn oil in particular, you get the small  
21 particulate matter, which causes its own health  
22 concerns. So you eliminate the combustion, you  
23 can eliminate those three emissions. Ground  
24 source heat pumps don't burn energy, they actually  
25 move energy from the ground into the space, and

1 from the space into the ground. So the folks who  
2 study carbon emissions, when they said how can we  
3 get the biggest impact in reducing the carbon  
4 footprint, basically said, let's do the two things  
5 at the bottom of the chart, let's have increased  
6 electric efficiency measures, and let's have  
7 increased fossil fuel efficiency measures. That's  
8 exactly what ground source heat pumps do. In the  
9 winter they create efficiency for space heating,  
10 in the summer they create efficiency for space  
11 cooling. Those two measures alone can account for  
12 65% of the carbon savings goal outlined in this  
13 chart. So how does that work? Basically we sit  
14 on a giant solar thermal battery. So the sun  
15 comes up, it charges the earth, the earth stays at  
16 a relative temperature, and if we can tap that  
17 deeper temperature, then we can trick our  
18 buildings into thinking they live underground. So  
19 if we got in the elevator today and we went 30  
20 stories underground instead of aboveground, we'd  
21 be at a nice 60 degree environment and it wouldn't  
22 be very hard to heat and cool our buildings if it  
23 was 60 degrees outside year-round. So that goes  
24 to this leverage, a little bit of electricity to  
25

1  
2 run a fan, a compressor and a pump can move three  
3 to five thermal energy units out of the ground,  
4 and ground source heat pumps can deliver that  
5 energy with a total system efficiency, a round-  
6 trip efficiency, of 400% to 600%. So one unit in,  
7 four to six units of energy out, and that's at the  
8 source, not upstream, where you actually have to  
9 generate the electricity or make the natural gas.  
10 So that's at the building site. So again, just a  
11 schematic of how that works, the building outside  
12 may see 10 degrees in the wintertime, but 100 feet  
13 underground thinks it's 55 or 60. So the  
14 building, you trick the building into thinking  
15 it's operating in a steady-state 60 degree  
16 temperature in the winter, the same applies in the  
17 summer, it may be 100 degrees outside, but the  
18 building's heating and cooling and water heating  
19 system thinks it's 60 degree. So basically we  
20 could move New York City to Hawaii, right, if all  
21 the buildings thought it was 60 degrees all the  
22 time. And it would be much less expensive to do  
23 it this way. So how do we do that? I actually  
24 brought some show-and-tells. GSA always gets on  
25 me when I bring this up, so I want you to know I

1 don't do this very often. But where's my rodeo  
2 ID, okay, thank you. So that little piece of  
3 plastic is the bottom end of what a loop would  
4 look like in the ground, water with an anti-freeze  
5 solution would circulate through that pipe, and it  
6 can go down to whatever depth the engineers  
7 calculate to the pipe strength and the soil  
8 conditions. And that's where that heat exchange  
9 occurs, so that the water in that pipe, after it  
10 makes a long enough trip in the ground, thinks  
11 it's at 60 degrees. And then it comes back into  
12 the building where a compressor does its magic and  
13 works with that 60 degree ground temperature. So  
14 a ground source heat pump is like every other heat  
15 pump that we experience every day, our  
16 refrigerators are heat pumps, they take the heat  
17 out of the food and actually make the food cold on  
18 the inside. That's why when you're standing in  
19 front of the fridge, your head is cold and your  
20 feet are warm, because the heat is coming out of  
21 the food and into the space. All these window  
22 shakers that you folks have here in New York City  
23 are basically trying to take cold out of the air  
24 and put it into the building and reject heat  
25



1  
2 outside. So basically a ground source heat pump  
3 in its essence is a compressor technology that  
4 uses a refrigerant gas to move energy, and in the  
5 ground source heat pump case it can make heating  
6 and cooling and hot water at the same time. So  
7 all the magic happens, and this is the one that  
8 always gets me busted at the TSA line, you can  
9 tell by its construction that it kind of looks- -

10 CHAIRPERSON GENNARO: (Interposing)

11 Oh, you know what, we have to give things to the  
12 sergeant, and the sergeant gives them to me,  
13 that's the protocol we have.

14 MR. BONY: There you go.

15 CHAIRPERSON GENNARO: Okay.

16 MR. BONY: I don't want to violate  
17 the protocol. That is a cutout of what we call a  
18 coaxial heat exchanger. So refrigerant gas- -

19 CHAIRPERSON GENNARO: (Interposing)

20 You get on a plane with this?

21 MR. BONY: Well, you know, it took  
22 an hour, but I did ... but I have two more major  
23 airports, and that was the hometown team that let  
24 me get into the system, I don't know if I'll get  
25 home this week or not. But I may leave that with

1  
2 you just to guarantee my safe arrival. But that's  
3 a coaxial heat exchanger, so basically that's  
4 where the water interacts and the ground loop  
5 interacts with the refrigerant in the refrigerant  
6 cycle and the heat exchange occurs there. So in  
7 the summertime, hot refrigerant gas that's taken  
8 the heat of your building reacts with 60 degree  
9 water inside that shell, heats the water up, it  
10 goes back into the ground and over a series of  
11 many feet of pipe, transfers that heat into the  
12 soil. In the winter, the exact opposite happens,  
13 now it's cold outside, your building needs heat.  
14 Well, the refrigerant gas picks that heat up from  
15 the water, uses a compressor to lever it to a high  
16 temperature and put it in your building. So it's  
17 a very simple concept, water is a great heat  
18 exchange medium, the earth is a very stable source  
19 of heat, and those two technologies, that plastic  
20 pipe and that metal coaxial heat exchanger,  
21 combine with a compressor and some pumps are how  
22 we move the energy around. So if you do that, you  
23 can take 50% of the building's thermal loads and  
24 take it off of fossil fuels and turn it into  
25 renewable earth energy. So you shrink the thermal

1 footprint of the building by 50% by coupling it to  
2 the earth. So you still have the same end uses of  
3 heating, cooling and hot water, but you just take  
4 a big portion of that and put it in the ground or  
5 take it from the ground instead of burning a  
6 fossil fuel to get there. So if you're not  
7 burning fossil fuels, you're saving carbon, and  
8 the basic formula of a fossil fuel is CH, from CH<sub>4</sub>  
9 for natural gas, you combust that and you get CO<sub>2</sub>,  
10 H<sub>2</sub>O, sometimes you get CO and it kills you. So  
11 you don't have to worry about that, and then  
12 300,000 ground source heat pumps replacing oil or  
13 gas boilers could save the emissions of a 500-  
14 megawatt coal plant, which is big enough to serve  
15 300,000 to 500,000 homes. So basically we have  
16 some utilities that are actually using the  
17 offsets, or want to use the offsets, from ground  
18 source heat pumps to keep their imbedded coal  
19 plants by basically, we won't generate the carbon  
20 over here so we can generate low-cost electricity  
21 over here. And I'll mention one of those  
22 utilities in a few minutes. So way back in 1993,  
23 the U.S. Environmental Protection Agency did a  
24 study and basically said ground source heat pumps  
25

1  
2 produce the lowest carbon dioxide emissions,  
3 including all source effects of all available  
4 space conditioning technologies, and that hasn't  
5 changed today. The other thing, and this is some  
6 studies I did as a utility person, I was really  
7 curious on, but a ground source heat pump will  
8 save more CO2 than an equivalent investment in  
9 solar photovoltaics. Now I did that study in  
10 Colorado where the sun shines 250 days a year and  
11 we were a heavily coal-based utility system, but  
12 my hunch is that would hold in New York as well.  
13 You have less sunshine but your grid probably  
14 isn't as coal-based as we were in Colorado. So  
15 Oakridge National Lab, you heard about this report  
16 earlier today, I think Jack mentioned it, did a  
17 study to kind of look at ground source heat pumps  
18 across the nation, and they came to the conclusion  
19 that ground source heat pumps would reduce the  
20 purchased energy consumed for heating, cooling and  
21 domestic hot water, and if we applied that  
22 nationally, there's that 45% number again. They  
23 then for the first time looked at peak energy  
24 demands, so that's summertime when it gets really  
25 hot in the city and you go out on load control,

1  
2 and again you heard the numbers mentioned, but it  
3 could cut your system peak by 56% from air  
4 conditioning peaks in the summer, by the reduction  
5 Jack mentioned of 500 to 700 watts per installed  
6 ton of capacity, which is huge, again, because the  
7 air conditioners operate in a 60 degree  
8 environment, not in a 100 degree environment.  
9 Depending on rates, and actually because of your  
10 high electric bills and your high cost of fuel  
11 oil, this number is low for New York, but reduce  
12 consumer bills by up to 48%, and I'll show some  
13 local math for you here in just a second. And  
14 again, reduce carbon emissions for that building  
15 by up to 45%. So here's just a brief schematic of  
16 everything we discussed. So the ground loop  
17 couples the refrigeration system to the earth, in  
18 heating mode basically you move low-temperature  
19 heat from the ground and step it up with the  
20 compressor and put it in the conditioned space,  
21 using a compressor and a fan system, and in air  
22 conditioning you do the exact opposite, you take  
23 the heat out of the air and you put it in the  
24 ground where it's actually stored, and you can use  
25 it again when the winter rolls around. So a very

1  
2 simple mechanical system that relies on  
3 refrigeration technology and the ground coupled  
4 loop and some pumps to circulate so there's an  
5 interface between the two. So not much to the  
6 system, there's actually the unit, we call it, or  
7 the ground source heat pump, which can be a self-  
8 contained forced air unit, inducted applications.  
9 From what I've seen in my experience in the city,  
10 you're more boiler-based, so we make units that  
11 make hot water, and then you can use that hot  
12 water for space heating and chill it in the summer  
13 for cooling. You need some kind of a pump to move  
14 the water between the units and the loop field,  
15 you need a thermostat to control the temperature.  
16 So very simple components, and a package  
17 residential ground source heat pump unit on a  
18 forced air system looks just like a furnace. The  
19 only difference is there's no gas pipe or oil pipe  
20 to come into the unit, there's two water  
21 connections and an electric connection. Our  
22 industry makes units for every configuration from  
23 large commercial rooftops to little wall units  
24 that could sit on an inside wall and like you  
25 would see in a hotel room, so upflows and

1  
2 downflows, you can hide them in the ceiling. So  
3 basically if you can envision it, there's a piece  
4 of equipment that can fit the space to move the  
5 energy. Just two of my favorite examples here, in  
6 Oklahoma City our company worked really closely  
7 with Habitat for Humanity. They drill a 400-foot  
8 loop and then they build their houses around it.  
9 So basically the loop goes in first and it goes  
10 right under what will be the furnace and then they  
11 build their homes around that 400-foot loop, and  
12 then you can see modern condominiums, in this case  
13 in Washington, D.C. But not to leave New York  
14 out, you've heard about the State of Liberty gift  
15 shop is a geothermal retrofit, and these are  
16 samples of both new and retrofit applications  
17 across the country. The Denver project in the  
18 lower right is actually a Housing Authority  
19 project in downtown Denver. So new buildings, old  
20 buildings, we've put geothermal heat pumps in all  
21 of them as an industry, including the entire state  
22 capitol in Oklahoma City and soon the state  
23 capitol in Denver. So there's the basics, you  
24 need to put a hole in the ground, you need to fill  
25 it up with pipe, and then you need to close the

1  
2 hole up so it's not a hole any more, and then you  
3 connect that pipe and get it into the building,  
4 and you hook it up to a heat pump. So the  
5 technology is very simple, the challenge is in the  
6 application, but that hasn't changed in the 20-  
7 some years I've been doing geothermal heat pumps.  
8 And you can see again that's pretty much all local  
9 labor, almost neighborhood labor, when you get to  
10 scale. So this is a picture, just if you imagine,  
11 if we started drilling at the end of your desk  
12 here and went to the far end, and that linear  
13 space that could be all the ground you needed for  
14 a six-ton or more residential application in a  
15 line, or you could move it around into a square.  
16 So you're not talking a lot of space, but you do  
17 need to have some place to put those loops in. I  
18 happened to notice coming out of the desert  
19 southwest that you guys are surrounded by water,  
20 so if you have water you can use a different kind  
21 of a loop, in this case these are plate heat  
22 exchangers, where the loop pipe actually  
23 circulates inside those plates, and the energy  
24 transfer occurs in the body of water. So you  
25 could put those under piers, anywhere you're



1  
2 moving water, and I understand you pump a lot of  
3 water in New York just to keep it from not going  
4 where you don't want it. You're actually pumping  
5 energy, you just need to put a heat exchanger like  
6 that to capture the energy as the water goes by,  
7 and you can use that to heat and cool the space  
8 right where you're pumping your water. So you  
9 could actually recover your pumping bills to  
10 transfer that into a heat exchange, or an energy  
11 exchange. This is an example I did just for a  
12 small home in New York City, 1,800 square feet,  
13 with older equipment, with oil heat, versus a  
14 ground source heat pump, and it's been a long time  
15 since I've been in a house with oil heat, and I  
16 didn't realize how expensive it had gotten. So  
17 this math came up with a \$3,000 annual savings in  
18 electric and oil bills for that 1,800 square foot  
19 house. So there's a lot of money on the table for  
20 your residential consumers if they convert from  
21 oil to ground source heat pumps. So in kind of  
22 conclusion here, ground source heat pumps are  
23 market-proven technology, they do cut total  
24 heating and cooling bills, they tap renewable  
25 solar energy from the earth, they have a low power

1  
2 requirement that can provide zero carbon heating  
3 and cooling if you hook them up with zero carbon  
4 electricity, and they can provide, I think, in New  
5 York with some simple financing that we can talk  
6 about a positive cash flow, either with creative  
7 loop financing or even conventional mortgage  
8 financing. And there's ... this number is rapidly  
9 approaching two million ground source heat pumps  
10 have been installed in North America and Canada.  
11 There are countries in Europe, Sweden, for  
12 example, 90% of all their buildings are going  
13 ground source heat pumps now. The Brits have a  
14 million geothermal heat pump initiative, where  
15 they're actually transferring their country from ...  
16 that as the North Sea gas dries up, they want to  
17 convert to ground source heat pumps, because they  
18 don't want to import gas from Russia, or maybe  
19 from Pennsylvania, depending on where the  
20 terminals are. I give you this chart just so you  
21 can kind of maybe take a decimal point off the  
22 number, but the DOE looked at a million ground  
23 source heat pumps annually by 2017, and what would  
24 that do for the country. So if you wanted to have  
25 sort of a challenge, what if you did a 100,000

1  
2 ground source heat pumps annually in New York  
3 City, you see you just have to slip the digits by  
4 a decimal, but that would be 3.3 million  
5 installations across the country, 26 million  
6 metric tons of annual carbon reduction, 520  
7 million metric tons of life-cycle carbon reduction  
8 over 20 years, and 100,000 jobs. And then this is  
9 my back-of-the-envelope math from when I was a  
10 contractor of where I thought the labor went. So  
11 somebody has to be the estimator or the salesman  
12 or whatever word you want to use, so that takes  
13 some time. And you should always repair the  
14 building when you're there, to minimize the  
15 footprint, so that takes some time to do some  
16 repair. Somebody has got to do the loop locates  
17 and the utility locates before the loop can get  
18 drilled. You have to put the loops in, you have  
19 to tie it in and restore the landscaping, it takes  
20 a few man-hours to set the equipment, somebody has  
21 got to run the office. So I came up with a  
22 conservative estimate of five jobs per 100 homes,  
23 and again, the industry number is somewhere  
24 between seven and ten. The good news is right now  
25 the Federal government is willing to be your

1 partner in this initiative, so Federal tax credits  
2 cover one third of the cost of a residential  
3 geothermal installation, new or retrofit. And on  
4 the commercial side, the tax credits are even  
5 better. There's a 10% Federal tax cut for  
6 geothermal heat pumps, plus there's a five year  
7 accelerated depreciation for a system that could  
8 last 25 years or more, more for the loops and at  
9 least that for the equipment. And then there's  
10 some other tax credits if you meet square footage  
11 efficiencies that can go up to \$1.50 a square foot  
12 if you meet the energy guideline. So we see  
13 commercial projects where just the tax code  
14 provides over half the retrofit cost of a  
15 building. And then I throw this out, I'm going to  
16 be in Seattle next week with a utility, I'll share  
17 that, it's Wyandotte Municipal Services. There's  
18 some utilities that are beginning to look at this,  
19 and I offer this because the city is a utility,  
20 with your water department, but really the ground  
21 source heat pump loop kind of looks like a utility  
22 plant, in other words it has a very long asset  
23 life, the pipe manufacturer warranty is 50 years.  
24 We were touring City Hall earlier today and if  
25

1  
2 they had had that pipe 200 years ago, I assume it  
3 would still be working, because it really can't go  
4 anywhere, it's an inert material. So what if you  
5 treat that loop like a utility plant? So Edison  
6 invented the electric industry so he could sell  
7 light bulbs, so maybe we need to invent the  
8 geothermal utility so that we can sell energy  
9 efficiency and carbon reductions, and we've done  
10 that, as you can see the different examples there,  
11 where cities have become utility providers so they  
12 can provide services to the citizens. So in the  
13 utility loop concept, the utility, whether it's an  
14 electric utility or the water-sewer utility or the  
15 gas utility, and I have all flavors of those that  
16 are looking at this business, they basically own  
17 the loop, they contract for its construction, they  
18 finance it over the long term, they collect it on  
19 a monthly payment, and basically the customer gets  
20 a good quality install, they get a nice fair  
21 price, and they get the energy efficiency that  
22 they otherwise wouldn't have to write a check for,  
23 and it becomes a utility service. So next week  
24 Wyandotte, Michigan is going to be recognized by  
25 the American Public Power Association for their

1  
2 innovative loop concept, where they as a municipal  
3 utility, and they started serving electricity  
4 shortly after it came out of Niagara Falls to New  
5 York City, and there's the reasons why they went  
6 there. Basically it helped their utility, it  
7 levelized their rates, and it met their  
8 environmental goals. And they're actually using  
9 those loops as part of their urban renewal effort,  
10 where they're taking houses that have been  
11 abandoned, if they can't restore them they'll tear  
12 down two, they'll combine the lots, they'll build  
13 a brand-new super-efficient home, and then they  
14 provide the loop service, so the people that move  
15 into them can afford their utility bills. So  
16 ground source heat pumps, you've heard they offer  
17 immediate, maybe a well-worn phrase, but shovel-  
18 ready projects, they create local, almost  
19 neighborhood, green jobs. New York would be  
20 positioned to be a national leader if you adopted  
21 this platform, it could provide a new income  
22 source for the city if you decide to get into the  
23 loop business, or investigate that. It will  
24 definitely reduce the city's carbon footprint, it  
25 will reduce summer peak loads on your electric

1  
2 generators, it will conserve fuel oil and natural  
3 gas, it will reduce businesses' and homeowners'  
4 utility costs significantly, given your high cost  
5 of energy, and it will result in improved air  
6 quality. So kind of the final take-aways here,  
7 the ground source heat pumps are the most  
8 efficient and cost-effective method of heating and  
9 cooling a building, they are both renewable energy  
10 and energy efficiency, sometimes that's our  
11 problem, people want to pigeonhole us in one camp  
12 or the other, and we're really both. They reduce  
13 utility peaks and improve load factor, which keeps  
14 pressure off future rates, and after 40-some years  
15 and a million-plus installations, I can assure you  
16 properly-designed and installed they do work.  
17 Just some resources in the back there, and then  
18 that case study I showed you is actually in my ...  
19 attached to my testimony as well, so you'll have  
20 these websites, and with that when you're ready  
21 I'd be delighted to take your questions.

22 CHAIRPERSON GENNARO: Thank you.

23 Thank you, Mr. Bony, I really, really appreciate  
24 the presentation, we'll just do questions and  
25 comments for the panel once the panel is done.

1  
2 And the hour is getting late, so I have to move  
3 forward, but that was really a terrific  
4 presentation, and particularly the utility concept  
5 that struck me. Mr. Bostian.

6 MR. O'BRIEN: We're going to switch  
7 around, Mr. Chairman.

8 CHAIRPERSON GENNARO: Okay.

9 MR. O'BRIEN: He's going to set up  
10 while I go.

11 CHAIRPERSON GENNARO: Oh.

12 MR. O'BRIEN: He has to set up  
13 anyway, so it's perfect.

14 CHAIRPERSON GENNARO: Oh, fine,  
15 fine, sure. Terence, yes, of course.

16 MR. O'BRIEN: I was the draw at the  
17 last of the day, but I'm also the briefest, so  
18 it's okay.

19 CHAIRPERSON GENNARO: Right, okay.

20 MR. O'BRIEN: Also I have some  
21 answers to previous panels who had some questions.

22 CHAIRPERSON GENNARO: Okay, do  
23 that.

24 MR. O'BRIEN: Earlier with New  
25 York.



CHAIRPERSON GENNARO: Sure.

MR. O'BRIEN: So I'll go ahead.

Good afternoon, Mr. Chairman, almost good evening, my name is Terence O'Brien, I'm the Deputy Director of the Plumbing Foundation of New York City. We are a clearinghouse and educational forum for the entire plumbing industry. The Plumbing Foundation is a non-profit association of contracting firms both union and non-union, engineering associations, manufacturers and suppliers whose mission it is to insure the public safety and health through the enactment and enforcement of safe plumbing codes. I'm here to testify in support of Intro 694, which will establish a study in the benefits of the use of geothermal technologies. Hopefully this study will foster the use of geothermal technology for heating, cooling and hot water in many buildings in New York City thereby making the city more green. Since its establishment in 1986 the Foundation has worked diligently to insure the plumbing industry has as little a carbon footprint on New York as possible. The plumbing industry historically utilizes environmentally-friendly

1  
2 materials and technology, geothermal and solar  
3 technologies, which we've mentioned much today,  
4 for heating, cooling and hot water are the next  
5 wave of innovation that will help the plumbing  
6 industry lessen the city's carbon footprint.

7 Licensed master plumbers have the training skills  
8 to insure that these new technologies are  
9 installed properly, while at the same time  
10 guaranteeing safety and making the city more  
11 green. Any technology that can lead to less  
12 energy usage and water consumption for heating,  
13 cooling or to generate hot water is fully  
14 supported by the Foundation. Before you go to his  
15 presentation, there are a couple of comments made  
16 briefly before, a question by Council Member  
17 Lander, who is no longer here, about green  
18 projects in New York City and where we are at to  
19 get there and a long time, there have been many  
20 initiatives by you, by Council Member Dilan and  
21 the Housing and Buildings Committee and the Mayor,  
22 of course, that we have seen slowly come to  
23 fruition, mostly because not everyone understands  
24 this, it's a lot of time-consuming things, cost  
25 analysis, a lot of things that outweigh each

1  
2 other. Hopefully the benchmarking will be just  
3 the first step, but you're right, there hasn't  
4 been, to answer his question, there hasn't been a  
5 lot of movement in solar, wind, geothermal, not  
6 because of initiatives here, but it takes a long  
7 time, I'll speak for the industry and construction  
8 in general, they are not always up to speed to  
9 doing these things, we're a slow-moving process  
10 but we're getting there, and hopefully they will  
11 go forward. Back to, I think it was Jack in the  
12 last panel's question, about competent groups.  
13 There is a component of doing work in New York  
14 City when dealing with hot water compared to other  
15 places, even in the state, there is a license  
16 component. When you do these kind of hook-ups,  
17 you have to be licensed by a municipality, by New  
18 York City, so a competent group aspect of getting,  
19 he said it's kind of wild west out there, is the  
20 wild west, but once everyone realizes you have to  
21 use competent people, licensed people, in New York  
22 City, that wild west component is kind of pushed  
23 aside. So hopefully, like I said, we are kind of  
24 a clearinghouse if people want to talk to, we  
25 speak for all 1,300 licensed master plumbers in

1  
2 New York City, so we are the people who will  
3 actually have to do this in some way, shape or  
4 form. So hopefully this is the start of many  
5 things to come.

6 CHAIRPERSON GENNARO: Thank you.

7 Thank you, Terence, and I know you had to ... I know  
8 that you have to go, but with regard to standards  
9 and licenture and certification, these are  
10 certainly issues that I would talk to you and the  
11 Foundation about before I was to do anything. So  
12 you would be my first stop on that train. And so  
13 we really appreciate you being here and I mean  
14 everyone knows and greatly respects the work of  
15 the Plumbing Foundation and I guess it's so  
16 critical on so many things before this Committee.  
17 I think you've testified, I think the Foundation  
18 has testified to my Committee more times than any  
19 other entity. I think the Housing and Buildings  
20 Committee is jealous, but- -

21 MR. O'BRIEN: (Interposing) We're  
22 getting there.

23 CHAIRPERSON GENNARO: Okay.

24 MR. O'BRIEN: We're getting close.

25 CHAIRPERSON GENNARO: Okay.

2 MR. O'BRIEN: Thank you, Mr.  
3 Chairman.

4 CHAIRPERSON GENNARO: Thank you,  
5 Terence, and give my best to Stuart.

6 MR. O'BRIEN: I'll take that back.

7 CHAIRPERSON GENNARO: Yeah, okay.  
8 Mr. Bostian.

9 MR. BOSTIAN: Yes sir.

10 CHAIRPERSON GENNARO: Please state  
11 your name for the record and proceed with your  
12 good testimony.

13 MR. BOSTIAN: My name is Rick  
14 Bostian, I'm with WaterFurnace, an Indiana  
15 company. I want to say first of all that I'm  
16 impressed with the testimony I've heard so far,  
17 it's covered just about everything. My primary  
18 comments originally on the initiative was that it  
19 needed to be expanded. I like the term geo  
20 exchange versus geothermal, and one other point,  
21 in addition to the ones that have been made, the  
22 whole building doesn't need to be geothermal. The  
23 advantage of geothermal is that it operates  
24 really, really efficiently at part load, and I'm  
25 going to skip through some of my slides to show

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

you that.

CHAIRPERSON GENNARO: Okay.

MR. BOSTIAN: That's our factory that was up there. It is the highest geothermal square foot building, because we make them as well as heat and cool with it. But owners of buildings, they want to know what is it going to cost, and our goal is manufacturers and people that work in this infrastructure, is what's your budget and how much can we take advantage of it. And my point is, the system itself in the building, the units, what they do first is they net the loads inside the building. When he talked about the units in heating or the units in cooling, those individual units can be in heating and cooling inside the building. That creates first a net energy profile for the building itself. Then we go to geothermal. My first geothermal job was done in 1973, it was a school. It wasn't called geothermal, it wasn't called geo exchange, it was just called a smart thing to do. It happened to be near a big dam, they were pumping water through a well, through a heat exchanger. After the building netted all the

1  
2 loads together, then the extra heat or the extra  
3 cooling came from the geothermal, and that's  
4 important. If ... today we see more and more people  
5 doing what we call hybrids, they're doing geo  
6 exchange what they can afford, and then cooling  
7 towers and boilers are relatively inexpensive,  
8 they use those to offset other things. So it's a  
9 low-cost loop. In the 50's we knew we could air  
10 condition with water better than the air, that  
11 wasn't any big deal. In the 60's we started doing  
12 closed loops in buildings just for the heat  
13 transfer, and then in the 70's EER's and  
14 efficiency started getting more and more important  
15 and in the 80's really was when schools and office  
16 buildings really exploded with water source heat  
17 pumps. That was also when, as I've amended the  
18 definition of a ground source heat pump to an  
19 extended range unit. What that means is now in  
20 the early days, as long as the temperatures were  
21 between 60 and 90, a unit could heat or cool. It  
22 didn't matter if it was 90, it didn't matter if it  
23 was 60. Now we've expanded that to water, to  
24 basically a brine solution that's basically  
25 freezing, up to 110 degrees, and the unit can

1  
2 still heat it with limits, but that allows -- and  
3 what I would ask the Council to do is instead of  
4 saying we need to map where it's feasible, we need  
5 to look at what alternates are feasible, and  
6 release the design community to have more input as  
7 to, can we use that water that you're pumping, can  
8 we use that river? I used to tell people, almost  
9 every city has got a river running through it. If  
10 the agency, Corps of Engineers, whoever it would  
11 be, would go through that and say, you know, we  
12 can allow the water in this river to change one or  
13 two degrees, five degrees, ten degrees, and  
14 instead of looking at it as, if we use it as a  
15 source for heating and cooling, will it change it,  
16 ask the Corps of Engineers, how many tons of air  
17 conditioning would we have to ... or how many tons  
18 of horsepower would we have to use to effectively  
19 change the temperature of that river. It's a  
20 different thought process. Where it happened to  
21 me is I'm in Washington State, here's a river, the  
22 guy wants to use the river to heat and cool his  
23 house. And the Wildlife Department said, no you  
24 can't do that. I reverse it on them and I said,  
25 okay, tell me, if I brought you a machine that was



1 this big, and I told you I had just invented a  
2 machine that would raise the temperature of that  
3 river one degree all year round, you'd laugh at  
4 me. You wouldn't buy my \$1,000 unit that I was  
5 going to raise the temperature of that river. So  
6 the fact that you're doing open wells, the fact  
7 that you're experienced with standing column  
8 wells, it is the infrastructure, it is the people,  
9 and how do I get it done. Let me show you  
10 something really quickly, this analysis here we'll  
11 skip. This is available online, this is ASHRAE's  
12 headquarters in Atlanta, it happens to have  
13 ClimateMaster units in it. It's being compared to  
14 what you hear a lot of press about, with companies  
15 that have a lot more money than we do, but  
16 variable refrigerant. Those two charts, that  
17 first chart is the peak demand. Now when you look  
18 at it on the left, that's the ground source heat  
19 pump system, and when you look at it on the right,  
20 that's the variable refrigerant system. The  
21 purpose of the red line across the top, that's the  
22 top line on the chart on the left. The green dash  
23 line that goes across where your ... generally where  
24 your peaks are, you can see that whole chart fits  
25

1  
2 below variable refrigerant. In actual energy  
3 consumption, it's a similar comparison. That top  
4 line of that chart that covers geothermal is the  
5 red line on the right hand chart, and that green  
6 line goes through it is down below. The  
7 importance of that is not necessarily that it's  
8 more efficient than a very efficient system, it's  
9 that the difference is not only attributable to  
10 geothermal, it's attributable to the fact that it  
11 is a net energy system inside the building. And  
12 now because we make water to water units and  
13 rooftop units and everything, if the engineering  
14 community decides they want fan coils or air  
15 handlers or whatever that makes more sense, we can  
16 still use the geothermal units to create the hot  
17 water and the cold water. Or, I have another job  
18 in this city which is the NASDAQ sign. The NASDAQ  
19 sign is heated and cooled with geothermal units,  
20 but they're not applied to a geothermal system,  
21 they're applied to the condenser water system in  
22 the building, because that sign can't use enough  
23 heat to reject it. But in the city a lot of units  
24 are cooling-only units, and they have to have  
25 economizer coils on them, which make them more

1  
2 expensive and they use fan energy and everything  
3 else. If those units were actually standard range  
4 heat pump units, and you could take heat out of  
5 that loop by providing heat in the space, that  
6 would make more sense. So it's ... my message is,  
7 just expand it, not so much to the zones where it  
8 would work, but application of that extended range  
9 piece of equipment. Thank you.

10 CHAIRPERSON GENNARO: Well, let me  
11 ... so wait, so with regard to what we're doing, Mr.  
12 Bostian, any kind of brainwaves that you might  
13 want to send us regarding the actual legislative  
14 initiative that we would like to do.

15 MR. BOSTIAN: I gave it to Samara  
16 already.

17 CHAIRPERSON GENNARO: Yeah, okay,  
18 that would be really great. I'm just trying to  
19 navigate here, and try to assimilate a lot of  
20 information in a short time, I feel like I'm back  
21 in school again. And I really, really appreciate  
22 you coming all the way to give us the benefit of  
23 what you're doing, and it's different than what  
24 most people before today and I really appreciate  
25 it.

1  
2 MR. BOSTIAN: Thank you. I had the  
3 advantage of listening to everyone else, it gave  
4 me the basis.

5 CHAIRPERSON GENNARO: Yeah, okay.  
6 Good, yes, it's ... and Mr. Bony, with regard to the  
7 geothermal utility concept, to the extent that you  
8 can give my staff everything they need to kind of  
9 wrap their head around that, that would be ... you  
10 can get that to Samara as well. And your  
11 presentation is going to ... because I have it all  
12 here, it's going to make it easy for me to not  
13 only have a better understanding of what this is  
14 about, but to help me make my case once I get into  
15 the trenches with all the other competing things  
16 that the Council is trying to do. I can say, I've  
17 got a better idea than you have, and I have charts  
18 and everything else. And so I don't think they're  
19 going to have charts and all this, so take that,  
20 other Committees, you know what I mean.

21 MR. BONY: There you go.

22 CHAIRPERSON GENNARO: You know what  
23 I mean? But I really appreciate this  
24 comprehensive presentation that you've made, and  
25 it's my hope that everyone's time is well-spent

1  
2 today, because I really want to do something here  
3 and I think I made that apparent when I was  
4 talking to the administration, right, I think I  
5 made that point. They're great people, they're  
6 doing a lot, they're great people, but ... and I  
7 tell you, I'm ... most times you poke them and like  
8 you get something, you know what I mean. They're  
9 not going to say, hey, like you poked me, I'm not  
10 going to do anything now. You poke them and then  
11 like, yeah, we'll do that. And so gentlemen,  
12 thank you, I appreciate it. But the hour is late,  
13 I've got to get to my last panel and then I've got  
14 to get to work on this.

15 MR. BONY: There you go, well,  
16 thank you for your time today.

17 CHAIRPERSON GENNARO: Oh, sure  
18 thing. Okay, James McKean and Rick Bell, Rick  
19 Bell from the American Institute of Architects,  
20 and James McKean, Mountain Air Conditioning. Oh,  
21 Hicksville, New York, wow, right by the IKEA,  
22 right? Jack, my pleasure, sure. Gentlemen, thank  
23 you so much. You've waited so patiently to  
24 testify, and we're going to have like the final  
25 panel privilege of suspending the swearing-in

1  
2 ritual, because I'm very eager to hear what you  
3 have to say, and I'm sorry that you had to wait so  
4 long to say it, and I'm grateful to you for being  
5 around this long to give us the benefit of your  
6 good views. And why don't I start with Mr.  
7 McKean, do we have a statement? Okay.

8 MR. McKEAN: Good afternoon, I'm  
9 James McKean, owner of Mountain Air Conditioning &  
10 Heating Corp. I started my company back in 1980,  
11 after graduating from Farmingdale's HVAC program  
12 in '77 and working in the field for four years.  
13 I've got some experience I could share with you,  
14 I've given it in the brochure. We do mostly  
15 commercial replacement installations, one and a  
16 half to 100 tons, chilled water systems and  
17 replacements, small ammonia systems, geothermal,  
18 heating and air conditioning systems, and we're  
19 certified by International Ground Source Heat Pump  
20 Association. We do water tower work, gas-fired  
21 heating, critical-timing jobs that have to be done  
22 in special situations. We replace the air  
23 conditioning and heating systems that cool the GSO  
24 and the ESO main control rooms for national grid,  
25 they're the rooms where they control all the

1  
2 electric and gas that goes to Long Island;  
3 building management control systems, general  
4 electrical wiring, we're among the licensed master  
5 electricians in Suffolk County and Nassau County;  
6 UPS installations, we did a 300 KVA UPS for ADP  
7 Corp. in Melville; primary and secondary feeder  
8 installations, general refrigeration services, ice  
9 machine installations and service. We put the  
10 first ice rink in Saudi Arabia back in, well, 28  
11 years ago, whenever that was. In 1994 I began ... I  
12 was asked to design the replacement for the HVAC  
13 system for Nat Grid's office building in  
14 Brentwood, and they wanted to put in a geothermal  
15 system, that was my first experience with  
16 geothermal systems, and I studied the systems and  
17 design criteria and was able to install the 180  
18 tons for that building. This job was published in  
19 the trade publication, the News, back in 5/15 of  
20 95, and in later years I installed geothermal  
21 equipment in the Hewlitt (phonetic) office  
22 buildings and the Riverhead office buildings for  
23 National Grid, and I designed and oversaw the  
24 installation of a 30-ton geothermal equipment for  
25 a residence on 86<sup>th</sup> Street in Manhattan, which used

1  
2 a standing column well, and saved the homeowner  
3 thousands of dollars on the project by eliminating  
4 the need for the rooftop water tower, the steel  
5 stoop structure on the roof water tower, and  
6 eliminating the need to run the chimney up from a  
7 boiler in the basement all the way through the six  
8 floors, which would also have taken up space in  
9 the house, and they wound up using the rooftop as  
10 a garden and part of the house, rather than just  
11 having it committed to mechanical equipment. And  
12 I've been a project manager for other geothermal  
13 jobs on the Island, and in the city we have to use  
14 building contractors because I'm not licensed in  
15 the city for the plumbing and electrical work.  
16 But it's something that I feel there's a big need  
17 for it in the city and it really is not that hard  
18 a system to put in, when you put a standing column  
19 well in. That was actually quite a bit easier,  
20 getting a well contractor in, closing off the  
21 sidewalk and sinking the well, and the system has  
22 worked for ten years and it's something that can  
23 be done all over Manhattan.

24 CHAIRPERSON GENNARO: That's my  
25 hope.



1  
2 MR. McKEAN: But we're looking to  
3 forward that.

4 CHAIRPERSON GENNARO: Sure.

5 MR. McKEAN: And when I was asked  
6 to come down and talk about it being something  
7 that could be done and something that should be  
8 done.

9 CHAIRPERSON GENNARO: Sure, and I  
10 thank you for that. We're going to hear the  
11 statement of Mr. Bell, and then I'm going to have  
12 questions for you regarding what's going on in  
13 Long Island, because I want to ... I'm from there  
14 originally, I want to talk about that a little  
15 bit, I want to get the benefit of your views as  
16 someone who has done other things too, but you  
17 have a very valuable perspective of which I'm  
18 going to draw on. I'm going to hear Mr. Bell's  
19 presentation, and then I'll have comments and  
20 questions for both of you. Mr. Bell.

21 MR. BELL: Thank you, my name is  
22 Rick Bell, I'm Executive Director of the AIA New  
23 York Chapter here in Manhattan, but previously I  
24 was also assistant commissioner for architecture  
25 and engineering at DDC where I ran the ... or

1  
2       oversaw the unit that we heard from earlier today.  
3       So my experience with geothermal is partly as an  
4       end user, and I think it's altogether appropriate  
5       to have end users on the last panel, at the end of  
6       the day. I would want to commend you not only for  
7       holding this hearing, but I have to say in many,  
8       many years of coming to a variety of different  
9       committees and City Council hearings on a variety  
10      of subjects, this is by far the most informative  
11      and educational hearing I've ever been to, and I  
12      really am sincerely grateful for going last,  
13      because I learned so much today.

14                   CHAIRPERSON GENNARO: Me too, me  
15      too.

16                   MR. BELL: So, that said, I'd like  
17      to read a brief statement, but then in questioning  
18      we'll both go beyond it.

19                   CHAIRPERSON GENNARO: Sure, sure.

20                   MR. BELL: Because we've been  
21      running a system for nine years now, and I can  
22      tell some of the stories of what we learned in  
23      putting it in and in operating it since. So  
24      forgive me for reading, but I'm not- -

25                   CHAIRPERSON GENNARO: (Interposing)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

That's quite all right.

MR. BELL: On behalf of the New York Chapter of the American Institute of Architects and its nearly 5,000 architects and affiliate members based in Manhattan, it is our distinct pleasure to offer testimony on this important issue. We support the goals of Intro 694, which if enacted would require a study to identify the most suitable zones in the city for the use of geothermal energy, both for building heating and cooling and also for electricity generation and the identification and tracking of public and private projects which are utilizing or expect to utilize geothermal energy. But you know that. For almost nine years, pretty much under the radar, there hasn't been all that much ink about it, we have operated the Center for Architecture at 536 LaGuardia Place in Greenwich Village, I would hasten to add that it was City Council-funded early on, and the geothermal ground source wells provide all of the energy for cooling of our 15,000 gross square feet of galleries and meeting spaces. When AIA New York Chapter created the Center for Architecture in 2003, green issues

1  
2 were very much at the forefront of our programming  
3 and our design. As a client the AIA decided that  
4 a geothermal system was worth the initial  
5 investment, and I could also tell some stories  
6 about our interaction with the banks on that  
7 subject. The most notable part of the cost, it  
8 was approximately \$100,000 back then, a while ago,  
9 was well drilling. The system was designed by  
10 Michelle Norris of Norfast Engineering and she was  
11 working with Andrew Berman, Architect. Each of  
12 our two wells took approximately a week to dig,  
13 that was from 1:00 to 5:00 in the afternoon, so as  
14 not to make too much noise. The drill descended  
15 the height of the Empire State Building without  
16 the antenna, almost 1,260 feet through the  
17 sidewalk, gravel, soil and bedrock. The drilling  
18 was noisy, it sounded like pile driving, and that  
19 was part of the reason we were careful to inform  
20 neighbors what was going on, the environmental  
21 benefits and to try to restrict the noisy part of  
22 the activity to the afternoons on weekdays and  
23 summer. Set up in the moving of the drill rig,  
24 there's a photo of it in the package that was  
25 copied for you, it took a little bit of extra

1  
2 time, all total the two wells took three weeks in  
3 the summer of '93 in August. We had hay bales for  
4 the water containment and applied for all the  
5 necessary and relevant permits from DEP and DOT.  
6 The city was very easy to work with on this. One  
7 lane of traffic remained open, and the sidewalk  
8 protected by safety barricades also stayed open,  
9 as you can see from the photo, for passage during  
10 the drilling period. What I'd like to get to,  
11 maybe off-script, is how relatively easy it was to  
12 do, at least in our neighborhood. The center's  
13 geothermal system had two wells, has two wells,  
14 that provide an energy-saving boost for the heat  
15 exchange method in both cooling and heating modes.  
16 We tend to use it much more for cooling. Heat  
17 pumps use the 53 degree Fahrenheit geothermal  
18 environment as a reservoir from which heat is  
19 extracted in winter and into which heat can be  
20 transferred in the summer, far more efficiently  
21 than a conventional air exchange system in which  
22 heat pumps extract heat from freezing air in the  
23 winter and transfer heat into warm air in the  
24 summer. Water in the wells circulates back to  
25 ground level. During system operation, the water

1  
2 moves cyclically through its 2,520 foot path,  
3 transferring heat from the heat pumps to the  
4 bedrock surrounding the well along the way. I  
5 hear it regulates the temperature of the air in  
6 all of our spaces, including our offices. We  
7 think this is one of the first geothermal  
8 installations in New York City, we've certainly  
9 seen others and have been trying on our own to  
10 track it. It's also, I think, one that may be the  
11 most publicly-accessible. We spent about \$13,000  
12 on a glass door to make sure that the basement  
13 space where this is located underneath the  
14 sidewalk is visible to any passersby, anyone in  
15 our space. Since the start up of the system, the  
16 center has, as I said, proudly displayed our  
17 mechanical system to all who want to see it, with  
18 an explanation for how it works. We've saved  
19 money and done a small part, I think, to help save  
20 the environment, keeping our space comfortable and  
21 free, we usually say the system is free and guilt-  
22 free, at least relatively so. To put the cost  
23 into perspective, the Center for Architecture at  
24 15,000 gross square feet of construction had nine  
25 years ago a capital outlay of about \$3 million,

1  
2 which was pretty frugal, so a \$100,000 line item  
3 was pretty significant. We calculated that there  
4 would be a three-year payback, but NYSERDA came  
5 through with a grant to defray most of the cost of  
6 the well drilling, and that made the calculations  
7 of payback period kind of moot. We would have  
8 done it anyway, but we haven't told NYSERDA that  
9 at any point in time. We're very, very grateful  
10 and always praise them for making it possible.

11 There are several reasons why the system became  
12 the choice for the Center for Architecture, you've  
13 heard some of them earlier today in the technical  
14 presentations. It consumes less energy, about 30%  
15 less energy than a conventional air cooled  
16 condenser-type system would. It did not require  
17 any exterior equipment, such as large heat  
18 transfer grills on the façade in not quite a  
19 landmark district, but one where there's a lot of  
20 sensitivity. We also didn't have to put a cooling  
21 tower on the roof of a fully-occupied building  
22 with some seven floors of workspace above us who  
23 were none too keen to see something sticking  
24 through occupied space. It was installed as new  
25 technology and the retrofit of an existing

1 building, and because the system is entirely  
2 internal, as we've heard from others today, it has  
3 no noise impact on the street or on adjacent  
4 buildings. Lastly, it was estimated that the cost  
5 benefits would be very, very significant, as I  
6 said. In conclusion, we offer our continued  
7 support and professional expertise with efforts to  
8 allow for the expanded use of geothermal energy in  
9 New York City, and commend the New York City  
10 Council for putting forth this legislation and for  
11 holding this oversight hearing, both of which we  
12 see as being intended to make sure the initiatives  
13 that are now underway continue into the next  
14 administration. We invite members of the  
15 Committee on Environmental Protection to the  
16 Center for Architecture to see our geothermal  
17 energy system in action and firsthand, and thank  
18 you for the opportunity to testify today.

19  
20 CHAIRPERSON GENNARO: Thank you,  
21 Mr. Bell, and we certainly would wish to partner  
22 with you and a local AIA chapter to try to advance  
23 this. And I would welcome the opportunity to come  
24 by and see what you have, and I would just like to  
25 direct staff to talk to Mr. Bell to see how we can



1  
2 go and see the installation, and how we can  
3 generate some further interest in trying to get  
4 this going. And I'm telling you I didn't do this  
5 whole hearing today for nothing, and so I really  
6 want to make something happen and I didn't know  
7 about your installation, I know about it now, and  
8 I'm so happy that you've embraced it and been one  
9 of the pioneers in the city on it, and I want to  
10 see more of this. And I greatly appreciate you  
11 being here. And Mr. McKean, with regard to this  
12 trade association that's starting to happen in  
13 Long Island, we just heard mention that John was  
14 talking about. Right, John? Yeah. And is that  
15 something that you have become aware of, or did  
16 you notice it?

17 MR. McKEAN: I first heard about it  
18 today, and I wanted to speak to John about getting  
19 his card, so that I could get behind it.

20 CHAIRPERSON GENNARO: Yeah, I would  
21 certainly like to see a way in which your kindness  
22 for coming out here from Long Island, spending all  
23 this time, to give us your valuable perspective,  
24 was helpful not only to me but to you in some way,  
25 and so because your reputation has made its way to


1  
2 this Committee and Samara is like, "This guy is  
3 the best", and so there you have it. So we should  
4 ... John Rhyner, right? Yeah, and so I certainly  
5 want to see this blossom, not only in New York  
6 City, but in the whole metropolitan area. I mean,  
7 it helps us all, and I am very grateful what you  
8 put forward today, and to give us the benefit of  
9 your views, and I hope that your contacts with Mr.  
10 Rhyner and others will be helpful to you as you  
11 grow your business.

12 MR. MCKEAN: I'm sure they will.

13 CHAIRPERSON GENNARO: And I really,  
14 really appreciate you being here, and it's very  
15 nice of you to come here, and I think this is a  
16 pretty darn good hearing, if I do say so myself.  
17 And I say the word "darn" like on the record,  
18 rebel that I am. And so with all these witnesses  
19 being heard and no one else wishing to present  
20 testimony, I want to thank everyone for being here  
21 today, we're definitely going to do something with  
22 this. Thanks to one and all, and this hearing is  
23 hereby adjourned.

C E R T I F I C A T E

I, Richard A. Ziats, certify that the foregoing transcript is a true and accurate record of the proceedings. I further certify that I am not related to any of the parties to this action by blood or marriage, and that I am in no way interested in the outcome of this matter.



Signature \_\_\_\_\_

Date June 21, 2012